

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION  
+ + + + +  
PUBLIC SCOPING MEETING  
ON THE  
URANIUM RECOVERY  
GENERIC ENVIRONMENTAL IMPACT STATEMENT (GEIS)  
ALBUQUERQUE, NEW MEXICO  
Thursday, August 9, 2007

Colorado Room  
Hilton Albuquerque  
1901 University Boulevard, Northeast  
Albuquerque, New Mexico

The above-entitled meeting was conducted at  
7:00 p.m.

BEFORE:

LANCE RAKOVAN, Facilitator

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

ALSO PRESENT:

On behalf of the NRC:

JEANETTE ARCE, Nuclear Safety Professional  
Development

ANDY CAMPBELL, Acting Deputy Director,  
Environmental Protection and Performance  
Assessment

JOAN OLMSTEAD, Office of General Counsel

GREG SUBER, Branch Chief, Environmental Review

BILL VON TILL, Branch Chief, Uranium Recovery

CAROL WALLS, Licensing Assistant

I N D E X

	<u>SPEAKER</u>	<u>PAGE</u>
1		
2		
3	Opening Remarks and Introductions:	5
4	Lance Rakovan	
5	The NRC's Role and Responsibilities:	7
6	Andy Campbell	
7	The Uranium Recovery GEIS:	10
8	Greg Suber	
9	Overview of Uranium Recovery Facilities:	18
10	- Bill Von Till	
11	Question and Answer Session:	(NONE)
12	Receive Public Scoping Comments:	
13	David Ulibarri, New Mexico Senate	25
14	Sandy Brewer, Bluewater Valley Downstream Alliance	27
15	George Byers, Vice President, Neutron Energy, Inc.	28
16	Ernest Becenti, Jr., McKinley County Commissioner	31
17	Paul Robinson, Southwest Research & Info. Center	32
18	Cassandra Bloedel, Navajo Nation EPA	36
19	Robert Tohe, Sierra Club	41
20	Alvin Rafelito, National Indian Council on Aging	45
21	Loren Setlow, US EPA	47
22	James Martinez, Juan Tafoya Land Grant Corp.	48
23	Jerry Slim, Eastern Navajo Allottee Association	49
24	Mel Stairs, independent miner	50
25	Tomi Jill Folk, President, Hunger Grow Away, Inc.	53

1	Mike Bowen, Executive Director, NMMA	55
2	Rosamund Evans	57
3	Cynthia Ardito, INTERA, Inc.	60
4	Floy Barrett	61
5	Chris Shuey, Southwest Research & Info. Center	64
6	Eric Jantz, New Mexico Environmental Law Center	68
7	Joni Arends, Concerned Citizens for Nuclear Safety	71
8	Michael Jensen, Amigos Bravos	77
9	Ruth Armijo, President, Juan Tafoya Land Grant Corp.	81
10	Melvin Capitan, Jr., Geologist, HRI Energy	82
11	Rosemary Blanchard, Nation Indian Youth Council	83
12	Benjamin A. House, Eastern Navajo Allottee Assoc.	88
13	Danny Charley, allottee	90
14	Steve Cabaniss	92
15	Paul Frye, Navajo Nation Attorney General's Office	94
16	Leona Morgan, ENDAUM	100
17	Hildegarde Adams	106
18	Shrayas Jatkari, Center for Economic Justice	107
19	Laura Watchempino, Pueblo Acoma	111
20	Esther Yazzie-Lewis, Author	116
21	Annie Sorrell	122
22	Anna Frazier, Dine CARE	124
23	Amadeo Martinez, Juan Tafoya Land Grant Corp.	129
24	Jim Greenslade, retired uranium miner	130
25	Adjourn: Andy Campbell	134

P R O C E E D I N G S

1  
2 MR. RAKOVAN: Good evening. If everyone could,  
3 please find your seats. We're going to get started now.

4 (Pause.)

5 MR. RAKOVAN: Okay. Good evening. I'd like to  
6 welcome you all to NRC's public meeting to obtain comments  
7 on the scope of the Uranium Recovery Generic Environmental  
8 Impact Statement, or GEIS. Chances are you're going to  
9 hear that used a lot tonight. So if especially these guys  
10 sitting over here start saying, "GEIS," a lot, that's what  
11 it stands for: Generic Environmental Impact Statement.

12 My name is Lance Rakovan; I'm going to be  
13 facilitating tonight's meeting. By that, I mean I'm going  
14 to try to make sure that the meeting runs smoothly for  
15 everyone involved. It's a pleasure to be here tonight in  
16 New Mexico. The purpose of tonight's meeting is to  
17 provide you an opportunity to ask questions and provide  
18 comments on the scope of the Generic Environmental Impact  
19 Statements for uranium recovery licensing.

20 We are transcribing the meeting. We have our  
21 transcriptionist right here. I'm going to try to speak  
22 and I'm going to ask everyone else to when you speak use a  
23 microphone if you will, identify yourself and any group  
24 that you're with if it's the first time that you're  
25 speaking. We've got a couple mics in the aisles here that

1 we'll be using once we go to the comment portion, but  
2 please try to keep one person speaking at a time. And  
3 that way we can get a clear transcription of the meeting.

4 Right now, I'd like to go over the agenda.  
5 Hopefully, you picked up a copy of that in back.  
6 Basically, we're going to start out with a few quick  
7 presentations by NRC just to kind of orient you and give  
8 you some information on what the GEIS is. From there,  
9 we'll go to a comment and question and answer session.

10 I have a huge stack of people who have signed  
11 up to speak. I'm going to do my best to give everybody a  
12 chance, but, given the fact that I have over 30 people  
13 signed up, I'm going to ask that when I call you up here,  
14 if you could, try to keep your comments down to a few  
15 minutes. That will give everyone a chance to speak or at  
16 least get us as close as we can to that. But I can't  
17 guarantee that you're going to have a chance to speak.

18 Given the fact that we are here to receive your  
19 comments and we are here basically to listen, I'm going to  
20 try to move through things as quickly as possible, but  
21 we'll be going through the other ways that you can get in  
22 contact with us and that you can make comments if you  
23 don't have a chance to do so at the meeting.

24 If you picked up a public meeting feedback form  
25 in the back of the room, if you could, fill that out and

1 give us some suggestions on how we could improve things.  
2 Or if things went fine, we'd appreciate that. If you  
3 could, silence your cell phones or put them on vibrate at  
4 this point. That, hopefully, will take away any  
5 disruption that that could cause if they go off during the  
6 meeting.

7 Having said that, I'm going to turn things over  
8 to Andy Campbell, who is, hopefully, going to go very  
9 briefly through NRC's roles and responsibilities.

10 MR. CAMPBELL: Thank you, Lance.

11 I'm Andy Campbell. I'm Acting Deputy Director  
12 of Environmental Protection and Performance Assessment at  
13 the Nuclear Regulatory Commission. I'm here tonight to  
14 introduce Gregory Suber, who's Environmental Review Branch  
15 Chief in my directorate. Greg is in charge of developing  
16 the Generic Environmental Impact Statement. And also, I  
17 want to introduce Bill Von Till. Bill is chief of the  
18 Uranium Recovery Branch. Bill does -- his group does an  
19 awful lot of the licensing for uranium recovery type of  
20 facilities.

21 Also, Joan Olmstead, who's with the Office of  
22 General Counsel at the NRC. And Jeannette Arce is a  
23 recent member of our staff; she joined us four weeks ago.  
24 She's in the Nuclear Safety Professional Development  
25 program at the NRC.

1           So what we're going to cover tonight are --  
2 very briefly, I will give you NRC's roles and  
3 responsibility. Rather than go on and on about that, you  
4 can go to the NRC's website and you can get a lot of  
5 information about what we do, what we regulate and how we  
6 regulate the commercial nuclear industry. The regulation  
7 of that industry is focused for the NRC on the commercial  
8 sector.

9           We are not the Department of Energy. We do not  
10 regulate -- except in some cases -- for example, the high-  
11 level waste program at DOE -- we do not regulate the  
12 Department of Energy. And we have nothing to do with the  
13 weapons program at DOE.

14           We're also going to -- Greg is going to cover  
15 the NRC's environmental review process, and Bill will  
16 cover some of the safety review process and give you some  
17 information if you're not familiar with the in-situ leach  
18 mining. And then we will open this up for public comments  
19 on the proposed GEIS.

20           We are an independent federal commission. What  
21 that means is we have five commissioners, who are  
22 appointed by the president and confirmed by the senate.  
23 Those are the only political appointees in the US Nuclear  
24 Regulatory Commission. The rest of the staff, from the  
25 executive director of operations on down, are career civil



1 servants.

2           The commissioners have five-year terms, and  
3 those terms are set. They cannot be removed when a new  
4 administration comes into office. The president can  
5 appoint a chairman to the commission and new  
6 commissioners, and that is the extent of interaction with  
7 the executive branch. So we are much closer to congress  
8 than we are to the normal departments, such as the  
9 Department of Energy or even the Environmental Protection  
10 Agency.

11           Our regulatory responsibility, our safety and  
12 security reviews for the commercial use of nuclear  
13 materials, nuclear energy, nuclear power plants, the  
14 medical uses of isotopes that are used, for example, for  
15 cancer treatments, industrial uses of nuclear materials.  
16 The production of smoke detectors, for example, are  
17 licensed by the NRC.

18           Our responsibility is to conduct environmental  
19 reviews and licensing. That's the process that -- where  
20 we have to review with public comment license proposals  
21 from the industry. We conduct inspection at licensed  
22 facilities, and we conduct enforcement at licensed  
23 facilities. We can shut them down if we feel they are  
24 being unsafe and they are violating our regulations.

25           So with that, what I'm going to do is -- I'm

1 going to turn this over to Greg Suber to talk about the  
2 Generic Environmental Impact Statement and the process  
3 that we're following. This is the beginning of the  
4 process.

5 So, Greg?

6 MR. SUBER: Thank you, Andy.

7 First of all, I'd like to thank everyone who  
8 took time out of their busy schedules to come to this  
9 meeting today. Public participation is very important to  
10 the NRC, and that's the reason we hold these meetings.  
11 It's important for us to include the public in our  
12 decision making and make sure that we have buy-in on how  
13 we regulate the industry.

14 My name is Gregory Suber, and, as Andy has  
15 already stated, I am the chief for the branch that is  
16 responsible for conducting environmental reviews for the  
17 uranium recovery licensing. Right now, I'm going to take  
18 a few minutes to discuss the environmental regulations  
19 that the NRC has to follow, to give you details of the  
20 environmental review process and describe the ways that  
21 you can participate in our scoping process to inform that  
22 process.

23 Okay. The slide that you see before you  
24 details our responsibilities under the National  
25 Environmental Policy Act. It's also known as NEPA. NEPA

1 was enacted in 1969, and NEPA requires all federal  
2 agencies to use a systematic approach in considering the  
3 environmental impacts of major federal actions.

4 In short, what that means is that before the  
5 NRC allows a licensee to do anything major, we have to  
6 conduct a thorough environmental review and we have to  
7 evaluate those impacts. NEPA is what we call a disclosure  
8 tool. And what that means is that under NEPA we are  
9 responsible for disclosing to the public what we are  
10 looking at in our environmental review. Our reviews have  
11 to be transparent. We have to inform the public what  
12 information we're using in our reviews, and we also have  
13 to invite the public to inform us or participate in those  
14 reviews by allowing them to participate in scoping  
15 meetings.

16 Now, this is not the only public participation  
17 opportunity that you will have in this generic EIS  
18 process, and I'm going to talk about it a little bit more  
19 later, but this is the beginning of the process; we're  
20 just starting the process, and we've inviting you to come  
21 in and help us decide how we're going to bound that  
22 process, what areas you think that we should look at in  
23 the process and how we should concentrate on that process.

24 NEPA also established the Council of  
25 Environmental Quality within the executive office of the

1 president. The Council has a couple of responsibilities.  
2 One is to advise the president on environmental matters,  
3 and the second is to coordinate development of  
4 environmental policy and initiatives.

5 Now, CEQ has promulgated regulations that  
6 federal agencies like the NRC have to follow, and one of  
7 those regulations allows federal agencies to combine  
8 proposals into a single course of action or, in other  
9 words, take several actions and combine them into one EIS.  
10 For the NRC, we call this process a generic environmental  
11 impact statement; other agencies like DOE use other terms,  
12 like programmatic environmental impact statement, but it's  
13 the same concept.

14 What you do is -- you have related actions, and  
15 they're related either -- by geography, and sometimes  
16 they're related by subject matter. But we have these  
17 related actions that we can combine and treat as a single  
18 action. And the NRC has done this several times in the  
19 past, and one of the most prominent examples is what  
20 we've done for reactor license renewal. There's a generic  
21 environmental impact statement that's used for reactor  
22 license renewals.

23 Okay. The next few slides, I'm going to  
24 discuss how the NRC plans to prepare the generic  
25 environmental impact statement for uranium recovery

1 licensing. I'm going to start by discussing the purpose  
2 of the GEIS and how the NRC plans to use that GEIS. I'm  
3 also going to describe the proposed scope, and I'm going  
4 to identify what resource areas we will include in our  
5 evaluation. Lastly, I'm going to discuss and explain to  
6 you how you can participate in the process.

7 Now, this slide talks about the purpose of the  
8 uranium recovery GEIS. And the purpose is to addresses  
9 generically the environmental issues common to in-situ  
10 leach milling. The GEIS will examine the environmental  
11 impacts of in-situ leach milling and also other feasible  
12 alternatives. We plan to use the GEIS as a basis for  
13 site-specific applications when those applications come  
14 in.

15 So in other words, what we're doing is -- we  
16 plan to prepare two documents. What the GEIS will do  
17 is -- the GEIS will look at broad issues that are common  
18 in in-situ leach milling to all sites. And after we  
19 complete that document for each application that we  
20 receive into the NRC, we will prepare a site-specific  
21 analysis for that particular location.

22 And what we will do is -- we will look at our  
23 generic GEIS, and we will look at the site. And in areas  
24 where we can use or adopt the conclusions for the GEIS,  
25 we'll adopt those, but we also recognize that often there

1 are particular site-specific characteristics that are  
2 totally unique to that site, and in that case, we will  
3 cover those characteristics in a site-specific review. In  
4 this way, the NRC will fulfill its NEPA obligations in the  
5 most efficient manner.

6 In the environmental scoping process, we  
7 endeavor to identify issues that should be addressed in  
8 the EIS. It's an important step in the process because it  
9 basically defines the boundaries in the process. And we  
10 conduct these public scoping meetings so that we can  
11 increase public participation in our process and,  
12 hopefully, use the public to help us to identify issues  
13 that may have historically been overlooked or issues where  
14 the public can inform our decision.

15 The big thing about public participation is  
16 that when it's done properly, it increases the quality of  
17 our evaluation. These are your communities. This is  
18 where you live. You're there every day. And it would be  
19 foolish of us to come in and try to conduct an analysis in  
20 your neighborhood without talking to you. And that's why  
21 we're here today. We want to get your input on where  
22 you -- on the issues that you think are important.

23 Here we have a list of some of the impact areas  
24 or resource areas that we look at. Now, the first point I  
25 would like to make is that this list is not all-

1 encompassing; I just put it up here to give you an idea of  
2 some of the things that we look at when we do our  
3 evaluations, some of the resource areas.

4 Now, when we conduct our site-specific  
5 evaluation, of course, some of these resource areas will  
6 have been covered by the GEIS, but some of these resource  
7 areas are going to be the focus of our site-specific  
8 evaluation, because they are totally unique to that  
9 particular site.

10 Here I wanted to give you an idea of the  
11 schedule that we are working with for the GEIS. The  
12 notice of intent to prepare the GEIS was issued on July  
13 24, and right now we're in our scoping comment period.  
14 And presently, the scoping comment period is scheduled to  
15 end on September 4. We've already received a number of  
16 comments where people encouraged us to expand that period;  
17 they felt that the scoping period wasn't long enough. And  
18 we're entertaining that tonight.

19 If you have similar comments, I would like for  
20 you to make those tonight. That's the kind of feedback  
21 that we're looking to receive from you.

22 Now, once we've received those scoping  
23 comments, we're going to analyze them. And we're going to  
24 include them in our analysis, and we're going to issue a  
25 draft environmental impact statement.

1           And we'll come back to Albuquerque again, and  
2 we're going to show you the conclusions of our draft  
3 statement. And once again, we're going to give you, the  
4 public, an opportunity to comment on our draft  
5 environmental impact statement. You have an opportunity  
6 to tell us where we got it right, and you have another  
7 opportunity to tell us where we got it wrong.

8           So we are definitely trying our best to include  
9 the public in this process. And ultimately, we plan to  
10 issue the final GEIS in January of 2009.

11           Here we have the address for methods to  
12 communicate with the staff outside of this meeting. The  
13 first thing I would like to say is that the comments that  
14 you make in this meeting tonight are being transcribed,  
15 and we treat those comments and those comments carry the  
16 exact weight as if you wrote a letter and signed your name  
17 to it.

18           We're going to go through the transcript, and  
19 we're going to listen again to what you told us. And  
20 we're going to take that, those comments that you make  
21 tonight, and make that part of our evaluation.

22           If you choose not to make a comment tonight or  
23 if time doesn't allow everyone to get their comments in,  
24 you can always mail your comments to the NRC at the  
25 address that's on the screen, and you can also send us an



1 e-mail. Now I would also like to say that this  
2 information on this slide is also available on the table  
3 outside in case you don't have an opportunity to write it  
4 down or in case you would just like to conveniently pick  
5 it up on your way out.

6 Here you have the main contact people for the  
7 two reviews. Mr. James Park is conducting the Generic  
8 Environmental Impact Statement review; that's the  
9 environmental review that is going to produce the GEIS.  
10 And he can also talk to you about the site-specific  
11 environmental reviews that we'll be doing later. Mr.  
12 William Von Till is going to get up and speak to you in a  
13 few minutes about the uranium licensing process and about  
14 the safety review that goes along with the site-specific  
15 application.

16 All right. I'd like to conclude by saying  
17 thank you very much for coming out to attend our meeting  
18 tonight. And I do want to emphasize that public  
19 participation is very necessary in this process. And the  
20 reason we're here tonight is because we value your input,  
21 and we really want to hear from you, and we really want to  
22 take into consideration what you have to say.

23 Once again, thank you for coming. And we  
24 appreciate it.

25 (Applause.)

1 MR. VON TILL: Thank you, Greg.

2 Can everybody hear me?

3 VOICES: Yes.

4 MR. VON TILL: Great. Again, welcome. I'm  
5 glad to see a lot of people from the community out here  
6 tonight. My name is Bill Von Till; I'm the Chief of the  
7 Uranium Recovery Licensing branch in Washington. Our job  
8 in our branch is to -- uh-oh.

9 (Pause.)

10 MR. VON TILL: Here we go. It's working.

11 The job of the uranium recovery branch is a  
12 total oversight of these facilities, uranium recovery  
13 facilities. We develop policy for these facilities, and  
14 we oversee all the licensing and technical and safety  
15 issues with these facilities. I want to point out a  
16 couple of other things.

17 As Gregory mentioned, for the site-specific  
18 reviews and the GEIS, the environmental review branch is  
19 responsible for that. I also want to point out that we  
20 have an individual from our Region IV office, Jack  
21 Whitten, over here, who is responsible for inspections of  
22 those facilities.

23 What are we talking about here? What kind of  
24 facilities are we talking about? The NRC regulates under  
25 the Atomic Energy Act two main types of facilities which

1 are processing facilities for uranium in the beginning  
2 part of the field cycle process: Conventional uranium  
3 mills that we're used to, because a lot of these sites  
4 indeed are existent in New Mexico, and; in-situ leach  
5 uranium extraction facilities, which is kind of the wave  
6 of the future for most of these facilities.

7 One thing I want to point out is that the NRC  
8 does not regulate conventional uranium mines. The states  
9 and the Mine Safety and Health Administration are the  
10 appropriate licensing bodies for conventional uranium  
11 mines.

12 Here's the review process for a site-specific  
13 application. We've had quite a resurgence in the uranium  
14 recovery industry. We're expecting approximately 14 new  
15 applications for brand-new facilities across the western  
16 United States; 11 of those are in-situ leach facilities,  
17 and the three or so are conventional facilities.

18 The first thing we do is get with the  
19 companies that are interested in submitting an application  
20 to the NRC and having pre-licensing meetings. The agenda  
21 of that is to see what the companies are interested in and  
22 to have discussions early on so that we have a quality  
23 application when it's submitted to us.

24 When an application comes to our door, the  
25 first thing we do is conduct an acceptance review. The

1 purpose of the acceptance review is to ensure the  
2 application is complete and is of high quality. We have  
3 very limited staff to handle these applications. And if  
4 the applications are not complete and of high quality,  
5 we'll give them back to the licensees or the applicants  
6 and try again. So we've been working with the companies  
7 already, having meetings to make sure that we do have  
8 high-quality applications.

9           Once the NRC deems that a license application  
10 is acceptable for full review, the first thing we do is  
11 publish on our website a notice of opportunity for hearing  
12 for groups that may be interested in challenging this  
13 action. Then once that occurs, we have two separate  
14 reviews that are in parallel. One is conducted by the  
15 uranium recovery branch, which is the safety and technical  
16 review. And under Greg Suber's branch, the Environmental  
17 Review Branch, there's an environmental review.

18           And as Greg pointed out before, this is in  
19 addition to the GEIS. This is a site-specific  
20 environmental review that covers the site-specific actions  
21 of this application.

22           I want to point out that as part of this  
23 process, we work with all stakeholders involved. We work  
24 with the states, the EPA, the DOI and, especially in New  
25 Mexico, the Indian tribes: The Navajo Nation, the Acoma

1 Pueblo, the Lagunas, the Hopis, everyone who is near a  
2 facility that has an interest in this particular action.

3 Once we grant a license for these facilities,  
4 our oversight does not stop there; our office conducts  
5 licensing reviews, and Jack Whitten's office in Arlington,  
6 Texas, conducts inspections on those facilities. The  
7 purpose of the inspections is to ensure that these  
8 facilities operate in a safe manner to protect the workers  
9 at these facilities and the public and the environment.

10 Next slide. This is a typical conventional  
11 uranium mill site. I wanted to show you what these  
12 facilities look like.

13 Next slide. Now, most of the applications that  
14 we're going to receive are in-situ leach operations. So  
15 that's what we're going to focus on the most. In most  
16 cases now, industry -- if site conditions are right, the  
17 industry would rather -- okay. I'm sorry.

18 (Pause.)

19 MR. VON TILL: Can you hear me? Let me do  
20 this. Okay.

21 The -- most of the applications -- if the site  
22 conditions are right, most companies will prefer to use  
23 the in-situ leach form of extraction. And what I mean by,  
24 Conditions are right? You have to have groundwater in the  
25 aquifer where they're doing the extraction from, you have

1 to have upper and lower confining units, and you have to  
2 have the right permeability conditions.

3 This kind of operation does not have the  
4 conventional mining aspect. It does not have the tailings  
5 impoundment that is transferred to the Department of  
6 Energy or the state for long-term care.

7 Here's a typical look at an in-situ leach  
8 operation. And I just want to point out a couple things  
9 here. This is where the ore body is located. It's  
10 normally in a sandstone unit. In the state of New Mexico,  
11 it's mainly in the west water formation. These are roll-  
12 front deposits that have deposited themselves within the  
13 sandstone units.

14 And what the companies do is inject water with  
15 small amounts of oxygen and carbon-dioxide or sodium  
16 bicarbonate to loosen up the uranium so that they can pump  
17 it out of the ground for further processing. This then  
18 goes on to a processing plant. The end product is  
19 yellowcake.

20 A couple of things with this slide I want to  
21 point out. Because this is in the groundwater and  
22 groundwater is a precious resource in the western states,  
23 we have a large amount of monitoring involved. We also  
24 require that the companies restore the groundwater to the  
25 way it was before they started the operation. We have

1 monitoring horizontally, and we have monitoring above and  
2 below the confining units.

3 Here's a look at a typical in-situ leach  
4 extraction operation. This is the well field. As you can  
5 see, it's not very disruptive to the surface. Mostly, you  
6 see a bunch of well covers, which look like beehives, all  
7 throughout the field here. These are covers for  
8 individual production and injection wells and monitoring  
9 wells. These wells are then fed to a header house, which  
10 then pumps the product to a processing facility.

11 This is a look at the actual processing plant.  
12 It's just a couple of warehouse-looking buildings. This  
13 is the administrative staff here, and this is where all  
14 the processing occurs. The water is here and is run  
15 through ion exchange resins and then goes through a  
16 chemical process to finally end up with yellowcake, which  
17 then goes on to fuel cycle facilities, which then go on to  
18 nuclear fuel rods at the nuclear power plants.

19 With this slide, I wanted to illustrate kind of  
20 an aerial view of what this operation looks like. This is  
21 the extraction area, the well fields, right here. As I  
22 said before, we have a lot of groundwater monitoring  
23 involved. And this is a monitoring well ring that assures  
24 that this operation does not influence the other aquifers  
25 that are used for drinking water sources, livestock and

1 the other uses that are not of a mining type purpose.

2 Another thing that I wanted to point out is:  
3 Before the companies can extract uranium out of these  
4 aquifers, they also have to go to the Environmental  
5 Protection Agency for an aquifer exemption under the Safe  
6 Drinking Water Act. And these aquifers or portions of  
7 these aquifers, because they have uranium ore bodies,  
8 already have elevated levels of radio nuclides and other  
9 metals.

10 And so what the EPA does is look at some  
11 criteria. For example, this aquifer cannot be used  
12 presently for a source of drinking water. Once the  
13 aquifer is exempted from the Safe Drinking Water Act and  
14 they have an NRC license and an underground injection  
15 control permit from the state or the EPA, then they can  
16 proceed with licensing.

17 And again, I wanted to point out that once we  
18 license the facilities, our job is to make sure that these  
19 plants are run in a safe manner that protects the worker,  
20 protects the public, protects the wildlife and protects  
21 the groundwater resource. And I wanted to emphasize again  
22 that the main purpose of this meeting tonight is to listen  
23 to you. So at this point, I'm going to stop talking and  
24 let you come up and state your concerns. Thank you.

25 MR. RAKOVAN: Thank you, Bill.



1 (Applause.)

2 MR. RAKOVAN: I'm going to start going through  
3 the cards of the people who have signed up to speak. If  
4 you'd like, when you have your chance, you can come up and  
5 take the podium or you can take one of the mics in the  
6 aisles, whatever works best for you. If you could, please  
7 try to limit your comments or your question to a couple of  
8 minutes, given the fact that we do have quite a few  
9 people who have signed up to speak and I'd like to try to  
10 get to as many as possible.

11 I'd like to start out with Senator David  
12 Ulibarri

13 SEN. ULIBARRI: Right here. Good evening. My  
14 name is David Ulibarri, and I'm a state senator. I  
15 represent District 30, which encompasses Cibola County,  
16 northern Socorro and a small portion of Valencia. I'm  
17 also the county manager for Cibola County.

18 I welcome the NRC to New Mexico and appreciate  
19 your efforts to seek public comment for GEIS on in-situ  
20 leaching. I also appreciate the opportunity to be here  
21 tonight to share with you and the NRC that Cibola County  
22 is proud to be the home of the uranium capital of the  
23 world and that the Grants community is a key stakeholder  
24 of the output of the decision you make with regards to the  
25 EIS.

1           The uranium source in Cibola County can provide  
2 a secure domestic source of energy for the US. The future  
3 can be a significant reduction by national dependence of  
4 foreign oil. Nuclear energy is one of the most common  
5 cost-effective and efficient alternative sources of energy  
6 fuel without emissions and greenhouse gases. It is  
7 essential that we do all that we can to enhance domestic  
8 production and address environmental and safety concerns  
9 and will help to ensure uranium production of the future.

10           We are confident that mining and milling can be  
11 conducted according to modern standards and regulations  
12 that are protective of the health of the uranium workers  
13 and the public and the environment. We appreciate the NRC  
14 taking the lead in ensuring that this will happen.

15           The renaissance of mining and industry in  
16 Cibola County and neighborhood counties is already re-  
17 establishing a significant tax base and providing local  
18 employment and contractors with high wages and important  
19 benefits that will enhance the quality of life and bring a  
20 much-needed economic stimulant to our region. Thank you  
21 for being here and for the opportunity to speak. I have  
22 attached some copies of resolutions of support from the  
23 Cibola County Commission and also the City of Grants.  
24 Thank you.

25           MR. RAKOVAN: Thank you, Senator.

1 (Applause.)

2 MR. RAKOVAN: Sandy Brewer, from the Bluewater  
3 Valley Downstream Alliance.

4 MS. BREWER: I'll be brief and come up here.  
5 Good evening, ladies and gentlemen. I'm Sandy Brewer, and  
6 I am from Grants, New Mexico; I have lived there for 50  
7 years. I represent the Bluewater Valley Downstream  
8 Alliance. This is a statement of the Bluewater Valley  
9 Downstream Alliance to NRC's Generic Environmental Impact  
10 Statement for uranium mining and milling facilities.

11 The Bluewater Valley Downstream Alliance states  
12 the following as our position regarding a Generic  
13 Environmental Impact Statement for uranium mining and  
14 milling activities in New Mexico or anywhere in the United  
15 States of America:

16 Number One, our research has not found an in-  
17 situ project in the United States that has successfully  
18 cleaned the water back to the original water quality nor  
19 to drinking water standards. Therefore, in-situ leaching  
20 of uranium should not be allowed in New Mexico or the  
21 United States. Due to the many and varied locations plus  
22 geologic and hydrological conditions, it is impossible to  
23 prepare a generic environmental impact statement to  
24 adequately include and successfully regulate these various  
25 conditions.

1 I thank you very much for my time.

2 MR. RAKOVAN: Thank you, Ms. Brewer.

3 George Byers from Neutron Energy, Incorporated.

4 MR. BYERS: We appreciate the NRC's coming  
5 here.

6 We hope that you have had your red and green  
7 chili, Bill.

8 Neutron Energy is a privately held company. We  
9 are engaged in the exploration and development of uranium  
10 by conventional, not by ISR, methods in New Mexico, but we  
11 believe it's imperative that the US use more uranium  
12 produced from secure domestic sources in order to sustain  
13 the 20 percent of America's base load energy production  
14 that comes from safe, clean and non-greenhouse-gas-  
15 emitting nuclear power.

16 If America is to reduce its reliance on foreign  
17 sources of energy, it makes no sense not to use every  
18 domestic energy resource that's available to us, including  
19 domestic uranium and nuclear power. Today's nuclear power  
20 industry requirements of about 55- to 60 million pounds of  
21 uranium per year to fuel America's 104 reactors will soon  
22 begin to grow as the 30 proposed new reactors in our  
23 country begin to operate.

24 The companies that I'm familiar with and that  
25 our industry's a part of that are engaged in producing

1 uranium in America are committed to working with the  
2 public, with the state regulatory bodies and with you at  
3 the NRC to protect the environment, to conduct safe  
4 operations and provide hundreds if not thousands of well-  
5 paying, safe and high-tech new jobs and a much higher tax  
6 base where we operate.

7 In short, we plan to recover uranium safely  
8 because our country needs it. And in order to provide  
9 this fuel, it's critical that permitting of new facilities  
10 proceed in a logical and timely manner.

11 As I said earlier, at this time, Neutron plans  
12 no in-situ recovery operations in New Mexico; instead,  
13 we're planning to undertake conventional underground  
14 mining and perhaps limited surface mining on our  
15 properties based upon the nature of those deposits.  
16 However, we do support your plans at NRC to assess the  
17 impacts of these environmentally safe ISR facilities on a  
18 generic basis.

19 And, Mr. Suber and Mr. Von Till, you made very  
20 good sense in your earlier statements for three very good  
21 reasons. Having a GEIS for the common elements of ISR  
22 operations will also allow you at NRC and you and your  
23 staff to have more time to review conventional milling and  
24 mining operations in New Mexico and other States.

25 Number Two, preparing a generic EIS will also

1 allow NRC staff to concentrate on the site-specific  
2 aspects of proposed ISR operations without compromising  
3 the public's ability to review those projects. You made  
4 those points very clearly earlier.

5 Preparing a GEIS will also reduce the time of  
6 permitting future ISR mines without compromising the care  
7 and detail in which site-specific environmental impacts  
8 for those ISR operations will be conducted.

9 Again, Neutron proposes conventional mining  
10 operations. And because of that -- you're not covering it  
11 here tonight, but we do support NRC's plans to update the  
12 1980 GEIS for conventional uranium milling. It's out of  
13 date, and it needs to be revised to assess new milling  
14 techniques and technologies, improved methods for tailings  
15 disposal and the associated environmental impacts.

16 Neutron Energy believes that the NRC's plans  
17 for a GEIS on ISR recovery will provide the public and  
18 potential licensees with up-to-date guidance and data on  
19 which to make science- and fact-based decisions and will  
20 improve future baseline environmental evaluations and  
21 site-specific license applications and their environmental  
22 assessments, as this GEIS is not going to preclude future  
23 site-specific EISes. And that's what I want to make sure  
24 everybody here understands.

25 More importantly and most importantly, we do

1 not agree that a GEIS will preclude ample opportunities  
2 for public involvement in future licensing actions.  
3 Rather, it will allow the public and the states, such as  
4 New Mexico, and the NRC to focus on the site specifics of  
5 all applications and make them unique. Thank you.

6 (Applause.)

7 MR. RAKOVAN: Thank you, Mr. Byers.

8 Commissioner Ernest -- and I apologize if I get  
9 your name wrong -- Beecafi.

10 MR. BECENTI: Becenti.

11 MR. RAKOVAN: Ah, Becenti.

12 MR. BECENTI: Thank you. Good evening. My  
13 name is Ernest Becenti, Jr. I'm a McKinley County  
14 commissioner.

15 Perhaps more than anyone here tonight, McKinley  
16 County has the greatest interest in the future of uranium  
17 development in nine states because the county has been one  
18 of if not the largest domestic producer of uranium and has  
19 one of if not the largest remaining resources of domestic  
20 uranium yet to be produced.

21 Depending on one's point of view, what is at  
22 stake is a strong economic development and hundreds of  
23 jobs that we desperately need or a potential for an  
24 increase in pollution. Both of these issues are important  
25 to McKinley county, and our commission needs accurate

1 information to make proper decisions. That brings me to  
2 the generic environmental impact statement that NRC has  
3 proposed.

4 My understanding is that NRC will perform an  
5 evaluation of broad impacts of modern uranium technologies  
6 that would apply to the licensing of new facilities. In  
7 this process, NRC will evaluate the historic uranium  
8 operation and reclamation in the western United States and  
9 thus will review the success and the failures and use the  
10 information to determine the impacts of new operations and  
11 development and mitigation requirements that will  
12 incorporate into new licenses to ensure that the failures  
13 of the past are not repeated.

14 It is also my understanding that this generic  
15 environmental impact statement would provide a sort of a  
16 boiler plate for new licenses so redundant information  
17 would not have to be evaluated over and over again, but  
18 that during the licensing of each site, NRC would evaluate  
19 local futures and solicit public comments for each license  
20 review.

21 McKinley County strongly supports the  
22 preparation of this generic environmental impact  
23 statement. It will result in a single document where  
24 local decision makers can evaluate the pros and cons and  
25 the successes and the failures of historic operations, yet



1 we can be assured that this evaluation quality of  
2 individual licenses would not be compromised. There is a  
3 simple, no-down side to this effort.

4 In closing, let me say that I often hear from  
5 our constituents who assert the support of modern uranium  
6 development because it is safe, and I often hear from  
7 constituents who oppose uranium development alleging it is  
8 dangerous. Now we are presented with an opportunity to  
9 have the federal government prepare an unbiased, broad  
10 study to evaluate the safety, yet some don't even want the  
11 study. This makes me ask why. Could it be that some  
12 people simply do not want to be confused with true facts?

13 So I thank you very much for coming here  
14 tonight to hear our statements. Thank you.

15 (Applause.)

16 MR. RAKOVAN: Thank you, Commissioner.

17 Paul Robinson from Southwest Research.

18 MR. ROBINSON: Good evening. My name is Paul  
19 Robinson. I live about three miles northwest of here,  
20 upwind as the radon flies. I was really enjoying  
21 seeing --

22 MR. RAKOVAN: Would you get a little closer to  
23 the microphone, please?

24 MS. ROBINSON: -- the presentation here. It  
25 looks to me like the GEIS is going to be finished before

1 any of the new applications are in. Therefore you can  
2 just guess at what actually is going to be proposed,  
3 because there won't be real applications filed within a  
4 year.

5 Bill and Ron Linton were out here, had  
6 presentations from the operators. They're going to take a  
7 year or two before they even get their application filed.  
8 Then it has got to be reviewed, as Bill said.

9 So the timing is inappropriate. It's  
10 dysfunctional. It might provide some information. You  
11 might be able to get some conceptual ideas about in-situ  
12 mining or conventional mining, but each different well  
13 field within a body has to have a different fluid. The  
14 fluid has to be adjusted.

15 It's not just three chemicals, Bill. It's a  
16 carefully concocted fluid, and it's going to be mobilizing  
17 not just uranium, but all the heavy metals and the radio  
18 nuclides in the ore zone. You've avoided looking at the  
19 environmental impact issues in your presentation.

20 You had a picture of uranium, Bill, without a  
21 tailings pile. That's where the problems lie. That was  
22 the reason to do the last generic environmental impact  
23 statement, because there was a new set of regulatory  
24 requirements that brought a whole new set of wastes into  
25 the NRC's area of coverage: The uranium mill tailings.

1 And that motivating factor is not here today.

2 It's nice, Greg, to hear your strong interest  
3 in public involvement. Go to the places where the  
4 facilities are proposed. Albuquerque is two hours away.  
5 You spent more time driving to get here than you made  
6 available. Make enough time for people to talk. Provide  
7 an opportunity for dialogue and communication, not just a  
8 two- or three-minute conversation.

9 There's more activities being proposed for  
10 other kinds of energy development than uranium, and the  
11 uranium facilities are proposed based on reactors that  
12 haven't been licensed. There's assumptions that none of  
13 the existing reactors, which are about as old as the  
14 bridge in Minneapolis -- that they're never going to shut  
15 down. So we're going to lose reactors unless we get 109  
16 new ones.

17 So looking at what the demand is, whether the  
18 existing inventory of weapons-grade uranium and depleted  
19 uranium and the enrichment tailings -- whether they can  
20 meet domestic needs. There's more uranium in those  
21 sources owned by the government than there is in the  
22 deposits that are being described as being developed.

23 As Mr. Becenti just mentioned, the biggest  
24 deposit in the state is not amenable to in-situ mining.  
25 Many deposits are not. And for that reason, the scope of

1 the GEIS does not appear to reflect the experience here in  
2 the state.

3 And the last point is the Bureau of Mines had a  
4 history of in-situ mining that they published in 1977.  
5 NRC and the regulating agencies have not published a  
6 summary of the performance of those in-situ sites. They  
7 haven't identified which ones of those have not been able  
8 to meet their restoration standards and had alternative  
9 concentration limits.

10 I heard Bill say that the NRC is going to  
11 require restoration to the way water was when the  
12 operation started. that's a high standard. I appreciate  
13 your recognizing that standard, and that's the standard  
14 that needs to be met for groundwater to be protected.  
15 It's not just drinkable water out here. It is the key  
16 resource, and every different place has important  
17 groundwater. Groundwater is not a generic issue.

18 Thank you very much for your time. I look  
19 forward to talking to you again.

20 (Applause.)

21 MR. RAKOVAN: Thank you, Mr. Robinson.

22 Next I'd like to invite Cassandra Bloedel from  
23 the Navajo Nation EPA.

24 MS. BLOEDEL: Good evening, and thank you, NRC  
25 members, for coming to Albuquerque. We hope you come back

1 more readily.

2 Navajo Nation has four UMTRCA sites on our  
3 nation: One in Shiprock, New Mexico, one in Tuba City,  
4 Arizona, and we have one that kind of borders between  
5 Arizona and Utah with Monument Valley; we also have one in  
6 Mexican Hat, Utah. The only thing is there is radioactive  
7 waste existing at the Tuba City site in two locations:  
8 One at a former open dump, and one right across the street  
9 from the UMTRCA site.

10 This site was discovered because I took the  
11 time to go to Tuba City to look at our groundwater. When  
12 I was there, I started listening to the local people, that  
13 there was burials done back in the '50s and the '60s of  
14 waste. So I had no idea of a connection between the  
15 UMTRCA site and this site.

16 Later, we had US EPA emergency response come  
17 out. They did their own investigation in 2004. The site  
18 was discovered in 2003. I have submitted a document to  
19 you to show the waste. There is milling balls. There's  
20 laboratory waste. There is actual radio nuclides that are  
21 above the threshold for safety levels.

22 You have every year -- each person should have  
23 a dosage of five millirems per year. This situation has  
24 soil samples where there's -- some of the samples show  
25 400. That is quite a bit above the levels. You have lack

1 of vegetation there.

2           You even -- we even found -- had to go the  
3 extra step than what US EPA emergency response did. We  
4 had a forensic specialist in radiation come out, and I was  
5 out there during the investigation with him. We found the  
6 milling balls. We found the soil samples. Once those  
7 were analyzed, we found Radium 226, 288, which was way  
8 above the levels.

9           You talk about the UMTRCA law that -- in your  
10 booklet -- has expired, because it went to 1978. And so  
11 that law in itself considered vicinity properties. This  
12 site is -- would be considered a vicinity property.

13           Now we're looking at trying to get all of this  
14 radioactive waste cleaned up appropriately, because it  
15 shouldn't have been there in the first place. It should  
16 not have been buried. It's a threat right now to the  
17 major primary water drinking water source of the Navajo  
18 aquifer. There are several communities that -- plus the  
19 Hopi tribe and the Paiutes that just live right outside of  
20 Navajo Nation. They all utilize this drinking water  
21 source.

22           If this radionuclide that has already been  
23 showing in the shallow groundwater gets through that  
24 fractured Navajo sandstone, it will devastate all those  
25 communities. So is the US government, NRC in particular,

1 going to provide safe drinking water for the rest of their  
2 lives and their children's lives? That's a question that  
3 I would like answered.

4 And so the document does show that there is  
5 waste, and I hope that this gets cleaned up. There is  
6 also yellowcake out there that has now surfaced and now  
7 has threatened the actual communities there. For some  
8 reason, this yellowcake has an affinity for plant roots.  
9 You wanted information about your environmental impact  
10 statement. Well, this is a biological threat.

11 There are levels of radionuclides shown in here  
12 that are above the MCL levels that US EPA has in their  
13 standards. There's the milling balls, all in a bag. For  
14 some reason, US EPA did not discover this. It took  
15 additional work by Navajo Nation, using their own funds,  
16 to find this waste, and that waste is scattered throughout  
17 a whole area. We understand there could be other areas.  
18 So something has to be done with this.

19 The UMTRCA law, hopefully, will be fixed to  
20 allow for those vicinity properties to be appropriately  
21 cleaned up. And this radiation that is being emitted  
22 right now into the atmosphere for these communities will  
23 be diminished with a proper cleanup.

24 And so when you talk about permittees wanting  
25 to do -- go through a specialized shortcut with your GEIS,

1 I think you have to consider things that are existing.  
2 This is existing now, and so you need to really  
3 appropriately consider what you're doing when you're going  
4 to be allowing permittees to do things like this.

5 We do have sites that -- of course, the in-situ  
6 leaching is a concern. Of course, there, McKinley  
7 County -- I was one of the past members of the McKinley  
8 County Water and Soil Conservation District. And so this  
9 is something I am a part-time member of Cibola County,  
10 also. But there is things my position -- I cover sites in  
11 Arizona, Utah and New Mexico. So it's really important  
12 that this be considered, and I hope you do that. Thank  
13 you so much.

14 (Applause.)

15 MR. RAKOVAN: Thank you.

16 And she brings up an excellent point. If  
17 anyone has brought a statement or any information like she  
18 has that they'd like included as part of the transcript  
19 for the meeting, just flag me down, and I'll make sure  
20 that it gets included.

21 Next I'd like to offer to comment Jerry Pohl.

22 (Pause.)

23 MR. RAKOVAN: It looks like, from -- I can't  
24 read the first word -- Land Grant.

25 MALE VOICE: Seboyeta Land Grant.



1 MR. RAKOVAN: There you go. Thank you.

2 MALE VOICE: He's not here.

3 MR. RAKOVAN: I guess he must have left.

4 Robert Tohe from the Sierra Club.

5 (Pause.)

6 MR. RAKOVAN: Do you guys like it a lot better  
7 if they come and use one of these?

8 If you want to, come use one of these. I think  
9 they'd prefer it. Up to you.

10 MR. TOHE: Good evening. My name is Robert  
11 Tohe; I'm the environmental justice organizer for the  
12 Sierra Club. And for the record, I'm a member of the  
13 Navajo Nation. I have a homesite lease in Mexican  
14 Springs, a New Mexico site in McKinley County. I'm here  
15 to offer my comments briefly, and I thank you for your  
16 attention so far.

17 What we understand this generic environmental  
18 impact to state is that all communities are generic,  
19 they're all the same, there is no difference, and, yet,  
20 when you go into each of those communities, groundwater's  
21 different. They hydrology's different. The geology's  
22 different. The water and the weather is all different in  
23 these communities, and, yet, we're being lumped into one  
24 generic community. There's diversity out there, as New  
25 Mexico is well aware of.

1           One size does not fit all. The NRC needs to do  
2 definitive consultation with all communities and, in  
3 particular, to the Navajo Nations and pueblos, to our  
4 sacred sites, such as Mount Taylor. These areas are  
5 special and significant culturally to the people in these  
6 areas.

7           And there is Dr. David Begay, who is a special  
8 advisor to the Dineh Tah Association. The Dineh Tah  
9 Association is recognized by the Navajo Nation as people  
10 with the expertise and the knowledge to speak about sacred  
11 sites, and including Mount Taylor.

12           We also want to express that these hearings  
13 should be conducted out there, not here in Albuquerque.  
14 There's no uranium mining here. There's no ISL proposed  
15 sight here in Albuquerque. They should be out there in  
16 the communities.

17           And the New Mexico state minerals department  
18 has also said -- and this goes back to what Paul Robinson  
19 says -- there are no ISL permits currently. New Mexico  
20 does not have one ISL permit presently, so you have to  
21 ask, What is the purpose, and what is the need? Is the  
22 need just for the marketing, for the industry? That's  
23 what we have to answer through these public comments.

24           I also want to submit opinions -- and these  
25 comments will be forthcoming -- from the Sierra Club and

1 also other tribal groups in the area. Thank you.

2 (Applause.)

3 MR. RAKOVAN: Thank you, sir.

4 Alvin Rafelito from the National Indian Council  
5 on Aging.

6 MR. RAFELITO: Good evening. Thank you for  
7 giving us the opportunity to address this public hearing.  
8 I work with the National Indian Council on Aging and am  
9 also a board member for the Hunger Grow Away, addressing  
10 hunger issues throughout the world.

11 For this licensing process, discussion and  
12 input into this project, I'd like to say no. No.

13 (Applause.)

14 MR. RAFELITO: We have enough health  
15 disparities that we're dealing with right now with our  
16 elders and our young people to have this also added on to  
17 our situations that we have in our communities. We're  
18 concerned with diabetes, we're concerned with kidney  
19 disease and with cancer; a lot of these are three times  
20 the level of the national average that we have in our  
21 communities of color, and allowing in-situ licenses for  
22 this to happen is only going to make this worse in the  
23 future to come, for my kids, my grandkids and their kids'  
24 kids.

25 The other thing also to consider here in the

1 southwest is we're in the middle of a drought and water is  
2 precious, and water is what we're going to be fighting  
3 over here soon. And contaminating that process and then  
4 leaving us to deal with it? No. No more. We want our  
5 waters pure -- if it's radioactive, fine -- the way it is.  
6 It's drinkable, without having to add things to it and  
7 making it more radioactive than before.

8 And as mentioned earlier, there's other sites  
9 that still have all this radioactive waste. It's still  
10 happening. It's in our atmosphere. There was no cleanup  
11 made; they just left the dirt and the waste, and they took  
12 off and took the money and ran. No more.

13 So with this little comment, thank you for  
14 giving me the time. And say no to that licensing process.  
15 Thank you.

16 (Applause.)

17 MR. RAKOVAN: Thank you very much for your  
18 comments, sir.

19 Loren Setlow, US EPA Office of Radiation and  
20 Indoor Air.

21 (Pause.)

22 MR. RAKOVAN: I think they'd rather you come to  
23 one of these.

24 MR. SETLOW: Oh. All right.

25 MR. RAKOVAN: Up to you.

1 MR. SETLOW: My name is Loren Setlow; I'm  
2 represent EPA's Office of Radiation and Indoor Air in it's  
3 Radiation Protection Division in Washington, D. C.

4 EPA will be preparing a written response to the  
5 Nuclear Regulatory Commission's request for comments on  
6 the proposed scope of its GEIS for uranium milling  
7 facilities. While our comments will more extensively  
8 detail the principal environmental issues which should be  
9 addressed in the scope of the GEIS, in addition to the  
10 areas which were mentioned in NRC's Federal Register  
11 notice, I wanted tonight to outline just a few important  
12 issues.

13 First is groundwater protection. Conventional  
14 uranium mills but certainly ISL facilities have the  
15 potential for damage to underground aquifers, as well as  
16 surface sources of drinking water.

17 The GEIS should effectively address the  
18 protection strategies and methods that will be used for  
19 the affected water bodies; this must be overlain by the  
20 Uranium Mill Tailings Radiation Control Act's  
21 requirements, EPA's implementing regulatory standards for  
22 uranium extraction facilities and NRC's regulatory  
23 requirements. This should also include the complementary  
24 regulatory requirements under the Safe Drinking Water Act,  
25 which EPA and the primacy states implement through the

1       Underground Injection Control permitting process.

2               As well, NRC should consider discussing its new  
3 regulations being developed for groundwater protection at  
4 ISL facilities. The discussion could examine how they  
5 will fulfill the requirements of UMTRCA and EPA's  
6 standards for mills, plus provide complementary standards  
7 derived from the EPA UIC regulations to demonstrate how  
8 water resources inside and outside the license area will  
9 be protected.

10              Secondly, summaries of decades of existing data  
11 from previous and existing ISL operations should be  
12 reported. This could include histories of groundwater  
13 excursions, restoration and reclamation issues, including  
14 commonness of using alternate concentration limits rather  
15 than background levels or MCLs for hazardous constituents,  
16 volumes of radioactive and hazardous wastes, including  
17 evaporites and drill cuttings, to be disposed in  
18 conventional mill impoundments, radionuclides and metal  
19 levels in evaporation ponds, acreage of disturbed surface  
20 from facilities, roads and pipelines, occupational  
21 radiation and exposures and accidents, measurements of  
22 radon emissions from the ponds and processing facilities  
23 and how this can be effectively controlled by the  
24 requirements of EPA and NRC.

25              Thirdly, social, cultural radiation and

1 environmental impacts on Native Americans and other  
2 disadvantaged populations, as well as ranching  
3 communities, from the proposed actions should be  
4 considered an important aspect in the GEIS, given past  
5 impacts on future geography of ISL in mill development.

6 Lastly, the NRC's 1980 GEIS on conventional  
7 uranium milling is out of date. Over 25 years of data on  
8 the mill and tailings impoundment, performance and  
9 adherence to regulatory controls or violations, and  
10 reclamation history have now been accumulated by the NRC  
11 in its agreement states.

12 In a letter to the NRC from the director of  
13 EPA's radiation protection division in 2002, it was stated  
14 that the proposed use of alternate feed for mills or  
15 disposal of waste in tailings impoundments that was not  
16 physically and chemically similar to the tailings  
17 generated from ores warranted a new evaluation under NEPA.  
18 With a likelihood of additional licenses for new mills, as  
19 well as suspended-activity mills restarting, NRC should  
20 consider the robustness of discussion devoted to  
21 conventional milling and reclamation and an elaboration of  
22 their environmental impacts in the GEIS.

23 We look forward to working further with the NRC  
24 on uranium recovery issues, their new proposed regulations  
25 and evaluating the associated environmental impacts. And

1 as I mentioned before, we will be providing written  
2 comments. Thank you for the opportunity to speak to you  
3 tonight.

4 (Applause.)

5 MR. RAKOVAN: Thanks.

6 James Martinez.

7 MR. MARTINEZ: Hello. I'm James Martinez; I'm  
8 from the Juan Tafoya Land Grant Corporation, and I want to  
9 thank you guys for coming out to listen to the positive  
10 and the negative about this uranium industry. Also  
11 Seboyeta -- they couldn't be here, but they're also for  
12 the uranium industry. And there is a lot of positives,  
13 you know.

14 I did get all my people from my community to  
15 come out because they are concerned about everything  
16 that's going on, and we are for the uranium industry to  
17 come in. And New Mexico is one of the -- we need it, you  
18 know, and we are for it. And there is a lot of positive,  
19 and there is some negative, but maybe everybody together  
20 could make a good thing of this and our people could come  
21 together and make a positive.

22 There's a lot of -- you know, we have a lot of  
23 water in ours, and we have protected our water for  
24 generation after generation, and we will continue to do  
25 that. Whether these companies come in or not, we will



1 continue protecting our water sources. And I just want to  
2 say that we are for the uranium industry to come in. And  
3 maybe working together, we could help it be positive for  
4 everyone.

5 And I just want to say that thus Juan Tafoya  
6 have joined in and we will continue to help the uranium  
7 industry and help New Mexico grow. Thank you.

8 (Applause.)

9 MR. RAKOVAN: Thank you, Mr. Martinez.

10 Jerry Slim from the Eastern Navajo Allottee  
11 Association.

12 MR. SLIM: Good evening, everyone, the members  
13 of the Nuclear Regulatory Commission. On behalf of the  
14 Eastern Navajo Allottee Association, I thank you for  
15 letting me come up here to speak. My name is Jerry Slim,  
16 and I'm an allottee, and I'm the vice president of the  
17 Eastern Navajo Allottee Association. I am from  
18 Crownpoint.

19 The association is glad to hear and to have  
20 learned the new proposal on the generic environmental  
21 impact statement and in-situ and recovery and mining  
22 activities. The allottees support uranium in Church Rock  
23 and in Crownpoint because of having much need for the  
24 economic impact from the employment for all the local  
25 residents. We strongly support the NRC to generate the

1 generic environmental impact statement for uranium  
2 recovery operation. And I thank you very much.

3 (Applause.)

4 MR. RAKOVAN: Mel Stairs.

5 MR. STAIRS: Hi. My name is Mel Stairs, and  
6 I've been an independent small miner for the past 20  
7 years. I was educated here in this state.

8 FEMALE VOICE: We can't hear.

9 MR. STAIRS: Is this better? Can you still  
10 hear?

11 (Pause.)

12 MR. STAIRS: Let me try this one. Okay. How's  
13 that?

14 My name is Mel Stairs, and I've been an  
15 independent small miner for the past 20 years. I was  
16 educated here in New Mexico at the school of mines, and I  
17 just wanted to make two comments.

18 The first is: With my experience in geology  
19 and my experience in the mining industry, the large  
20 problem that you have with this is containing the solution  
21 that they use to make the mine. In other words, you  
22 inject solution into the ground and into the aquifer, you  
23 pump it back up, and you have a large ring of monitoring  
24 wells to make sure that it doesn't escape into the water  
25 that everyone's going to drink.

1           If you put the wells that monitor on a 1,000-  
2 foot basis or if you put your injection wells on a 200-  
3 foot basis like is one of the industry standards, there's  
4 a lot of ground in between that that the geologic study is  
5 just a guesswork.

6           If this room's 120 feet wide and that screen is  
7 only 30 or 40 feet wide and you put a well monitor at  
8 either side of that, you may miss a fault in the ground  
9 that is part of your containment, your clay layers on the  
10 top and the bottom, that would allow this to seep out.  
11 And the only time that you would realize that is when it  
12 has contaminated water far downstream.

13           So in effect, you're not going to stop uranium  
14 mining, and you're not going to stop solution mining.  
15 These two things are necessary for our economy, they're  
16 necessary for our energy security, but, more importantly,  
17 to protect the environment, you're going to have to do  
18 much tighter monitoring than is an industry standard now.  
19 You're going to have to put those wells that do monitoring  
20 on a 50-foot or 100-foot at the most grid pattern instead  
21 of the 1,000-foot that rings current proposed solution  
22 mines.

23           The other thing I wanted to comment about was  
24 the fact that there are a lot of people here who are  
25 emotionally upset about the idea of radioactivity being

1 released into their community. The people that are here  
2 from McKinley County, all you have to do is look north to  
3 your neighbors in Farmington. The  
4 Bloomfield/Aztec/Farmington area has a large cancer  
5 cluster, and studies have shown that that may be related  
6 to the coal-fired power plants there.

7 So if you're all concerned about making sure  
8 that no radiation gets into the environment, you should  
9 think twice about coal-fired power plants. Nothing in  
10 nature is pure. If you have three or four parts per  
11 million uranium in your coal and you burn 25 billion tons  
12 of coal a year, you're going to be putting a few thousand  
13 pounds of uranium back into the atmosphere to get into  
14 people's bodies.

15 So I think that it's a very good thing that we  
16 have government agencies to monitor these, but they need  
17 to be much more scientifically stringent to make sure that  
18 the monitoring is done on a basis that actually catches  
19 these isotopes when they get loose in the environment.  
20 Okay. Thank you.

21 (Applause.)

22 MR. RAKOVAN: Thank you, sir.

23 Tomi Jill Folk, Hunger Grow Away, Incorporated.

24 MS. FOLK: Hello. My name is Tomi Jill Folk.

25 Hunger Grow Away is an organization that works around the

1 world, but especially right now, we're concentrating in  
2 the southwest, working where we are invited, to be able to  
3 help people grow their own food. We see places where the  
4 food supplies are very, very limited, and we work with a  
5 small, micro-intensive gardening system.

6 But I'm here tonight as a storyteller because  
7 as we have spent so much time in the pueblos and among the  
8 Navajo communities and the chapters and are working side  
9 by side with the elders, with the young and with so many  
10 people, we understand how desperate the need is for jobs,  
11 but we also hear some other stories. I recently released  
12 a compilation of some of the stories I have heard, and in  
13 addressing the historic and cultural issues as one of the  
14 areas of your concern, I have a story for you tonight.

15 This is how the story was told to me, and I  
16 thank my Navajo friends for allowing me to relay it:

17 Long, long ago, the Great Mystery came to the  
18 people, and they were hungry. And the Great Mystery told  
19 the people, "You have a choice. You have a yellow choice.  
20 You can plant and grow, and your corn will have yellow  
21 pollen, and that will remind you of the friendship of the  
22 sun. And you will live in happiness and harmony, and you  
23 will know peace. This you grow upon the earth.

24 "Or you can dig into the earth, you can wound  
25 and scar the Mother and take the yellow stones. And if

1 you do this, you will know suffering and pain and  
2 ignorance and great sorrow. And your children will pay  
3 for many generations yet to come for your ignorance and  
4 folly."

5 This is what you need to go to Mount Taylor  
6 again to discover. You also need to be doing the  
7 following. It is very important.

8 This is what was said to me: "You are a  
9 voice." I am a former pastor. "Go to your friends in  
10 Acoma and Laguna. Go to your friends in the hogans. Talk  
11 to them. Collect their stories, their stories of the  
12 mines, their stories of the pain and the death that  
13 followed them out of the mines. I tell you this: If you  
14 meet your friends, collect these stories, write them down,  
15 hear them and tell them. Tell them so the world knows,  
16 that the world will join with you to plant the corn and  
17 leave the Mother Earth in Peace!"

18 Thank you for listening and this opportunity to  
19 share what I have heard from the elders and my fears for  
20 the future.

21 (Applause.)

22 MR. RAKOVAN: Thank you, Ms. Folk.

23 I'd like to thank all the speakers up to this  
24 point for keeping your comments brief; that's helping us  
25 really cruise through these cards and helping us get a lot

1 of people up here. So thank you very much for that.

2 Just make sure that you're keeping your mouth  
3 close to the mic so that people can hear you. She did a  
4 great job there, but, you know, there's a lot of people,  
5 and this is a big room. So do what you can if you would.

6 Next I have Mike Bowen from the New Mexico  
7 Mining Association.

8 MR. BOWEN: Good evening, and thank you for the  
9 opportunity to provide comments this evening. My name is  
10 Mike Bowen, and I'm the executive director of the New  
11 Mexico Mining Association.

12 New Mexico has the second-largest deposits of  
13 uranium in the United States. As the price of uranium has  
14 continued to rise, so has the interest in New Mexico's  
15 vast uranium deposits. We have seen significant increases  
16 in uranium exploration in the last couple of years, and  
17 our association believes it's very important for the  
18 United States to reduce its reliance on foreign sources of  
19 energy.

20 We currently use almost 50 million pounds of  
21 uranium in the United States' nuclear power plants, and we  
22 should be producing most of that here in our own country.  
23 It's very important that permits be issued for new  
24 facilities in an orderly and timely fashion.

25 Our association supports the NRC plan to

1 prepare a generic environmental impact statement for in-  
2 situ recovery; we believe that this statement would be  
3 beneficial for informing the general public of the minimal  
4 impact from ISR mining and also because it could reduce  
5 the cost and time involved in assessing the common aspects  
6 of these facilities. It would allow the NRC staff to  
7 concentrate on the site-specific aspects of each project.

8 Our association supports the NRC updating the  
9 1980 generic EIS for conventional uranium milling; it is  
10 out of date but could be easily updated to incorporate new  
11 milling techniques and technologies, as well as the  
12 environmental impacts.

13 The New Mexico Mining Association believes that  
14 it would be more beneficial to prepare an update to the  
15 conventional uranium milling GEIS independent of the  
16 preparation of a generic EIS for ISR mining. Our main  
17 concern is the negative effect doing both together could  
18 have on the progress by the staff on pending and future  
19 license applications. We would encourage the use of  
20 outside sources to supplement NRC staff.

21 And finally, it is the association's hope that  
22 a generic EIS for in-situ recovery and an updated generic  
23 EIS for conventional uranium milling will result in  
24 potential licensees being provided with up-to-date  
25 information and guidance on environmental impacts of ISR



1 and uranium milling that will improve future environmental  
2 evaluations and license applications. Thank you.

3 (Applause.)

4 MR. RAKOVAN: Thank you, sir.

5 Rosamund Evans.

6 MS. EVANS: Thank you for coming to Albuquerque  
7 to hear some of us. Most of the people here tonight that  
8 would be opposed to this program really had no advance  
9 notice that I know of; most of us heard about this, if at  
10 all, in the Journal this morning. I will address that in  
11 a separate comment. But it is very distressing that a  
12 process that was put in place to hear the public and to  
13 have a dialogue is being subverted, and I think our  
14 governor also issued a statement about that today.

15 Having generic scoping is, of course, very  
16 objectionable because, as several people have talked  
17 today, there are very specific reasons not to do that. If  
18 you have lived in the west as I have all of my life and  
19 you know a little bit about the geology as I do, you know  
20 that some of the statements that are being said here  
21 recognize that there is no protection of the groundwater.

22 The very important life of the west is in the  
23 groundwater. There is no protection for this kind of a  
24 mining process, where they pump chemicals down and then  
25 you hope it doesn't contaminate the rest of the aquifer.

1           In this room today, there are many people that  
2 have made a career out of promoting nuclear energy -- at  
3 well-paid salaries and career advancement. I recognize  
4 that. I respect that. There are many people in this room  
5 who expect to profit from the opening up again of uranium  
6 mining in this state and throughout the west and indeed  
7 the world.

8           There has been untold -- and I mean untold --  
9 damage from uranium mining. I lived on the Navajo  
10 reservation for 12 years in two different places where  
11 people had mined. Now, you're going to say, This is a  
12 safer process. They were definitely not told that they  
13 were in an unsafe process, and they're not being told now.

14           There are ways to have energy independence.  
15 There are ways to have our country be energy-independent  
16 of oil, and, indeed, we will have to be, because there's  
17 not going to be the oil, but to dangle nuclear power as  
18 the solution and indeed coal mining as the solution is  
19 really allowing people, and a very few people, to profit  
20 enormously -- a very few corporations.

21           It takes six to ten years to bring a nuclear  
22 power plant online for producing electricity. There's an  
23 enormous amount of waste, there is an enormous amount of  
24 cost and the global warming that occurs during the mining,  
25 reprocessing -- if you're in the milling -- I should start

1 it the other way: The mining, the transportation, the  
2 milling, the building of the plants. And then you have  
3 the waste. And then you have the more energy that goes  
4 into the plant itself.

5 What we are also doing is allowing a  
6 proliferation of, you know, nuclear material, of  
7 plutonium, around the world. Uranium -- the reprocessing  
8 is being done in such a way that we are really putting  
9 ourselves at risk, much more danger, and contributing to  
10 global warming.

11 This -- my comments probably won't be even  
12 included because -- I think you try to narrow these. This  
13 is about scoping, and I'm really talking in a broader way  
14 and having a dialogue because what we should be addressing  
15 is, Do we really want to be spending what is now borrowed  
16 money on starting up nuclear power?

17 And of course, a lot of this is designed to go  
18 into nuclear weapons. Is this really what we are wanting  
19 to do now with the borrowed money -- because that's what  
20 it is in the US now, is this the path we want to take, and  
21 not whether we're going to have some short-term gain with  
22 a small job that puts our health at risk?

23 I'm sorry to have to say that, but that is what  
24 it amounts to. Thank you.

25 (Applause.)

1 MR. RAKOVAN: Thank you, Ms. Evans.

2 Cindy Ardito.

3 MS. ARDITO: Good evening. Thank you for the  
4 opportunity to speak tonight. I just want to say I've  
5 been -- my company, INTERA, has been involved in  
6 environmental closure issues associated with uranium mines  
7 since the late 1980s. And we find ourselves now --

8 Can you not here me?

9 MR. RAKOVAN: Just a little louder.

10 MS. ARDITO: Okay. Let me try this. Is that  
11 better?

12 We find ourselves now in the position of  
13 looking at some of these sites for opening uranium mines,  
14 given the changing conditions. And I appreciate the  
15 concern that people have been expressing here.

16 We've been tracking this issue for a long time.  
17 I think there's a lot of misinformation that's out there.  
18 I think there's a lot of emotion. And I think one of the  
19 good things that could come out of this process is what  
20 we're seeing here tonight, an opportunity for people to  
21 express their concerns in open dialogue and perhaps  
22 educating each other about what the true issues are and  
23 trying to get down to things that we can really agree to  
24 and come to terms with.

25 So I think it's an unfortunate choice of words

1 for the process. I think "generic" has a connotation that  
2 maybe does leave a lot of people cold and think of the K-  
3 Mart brand of an EIS. I don't think that was intended.

4 I think that there's an opportunity to collect  
5 a lot of information that can be valuable to the process  
6 in general that people can use and maybe help with the  
7 scientific soundness and efficiency of going forward and  
8 trying to do environmental assessments of these processes.  
9 So thank you again for starting this, and I look forward  
10 to more of these kinds of meetings. Thank you.

11 (Applause.)

12 MR. RAKOVAN: Thank you.

13 Floy Barrett.

14 MS. BARRETT: Yes. I'd just like to read -- my  
15 name is Floy Barrett, and I live in Albuquerque. And I'd  
16 just like to read part of a short comment from Governor  
17 Richardson, because he is not here tonight, and he does  
18 have a grave concern about this.

19 "Governor Richardson" -- this is dated August  
20 1, just a few days ago -- "today petitioned the US Nuclear  
21 Regulatory Commission to reconsider its plans to create a  
22 Generic Environmental Impact Statement concerning newly  
23 proposed uranium recovery operations, including in-situ  
24 leach recovery facilities and conventional mills to be  
25 located in the western United States."

1           "The NRC has stated that the purpose of this is  
2 to aid in a more efficient environmental review for each  
3 separate license application. There is nothing generic  
4 about the concerns that many New Mexicans have with  
5 proposals to re-open or start new uranium mining and  
6 milling operations in their communities."

7           I'm still quoting: "I believe that this  
8 proposal will negatively impact the ability of New  
9 Mexico's citizens to participate in the NRC licensing  
10 process for individual facilities. Under the NRC's  
11 proposal, new mining activities and the public's right to  
12 comment on them would fall under one single generic  
13 environmental impact statement rather than individual  
14 statements on a site by site basis. Our citizens have a  
15 full -- have a right to full involvement in decisions that  
16 could have far reaching impacts on their homes and water  
17 resources.

18           "Given the concerns of many citizens in New  
19 Mexico about the public health environment and cultural  
20 impacts of new uranium mining, a process to eliminate  
21 public review of individual NRC permit actions in New  
22 Mexico would be disrespectful to our many sovereign Native  
23 American tribes and pueblos and the general public. This  
24 GEIS proposal would also be contrary to the State of New  
25 Mexico's public participation permitting process.

1            "In New Mexico's state discharge permit  
2 applications for uranium operations are evaluated in a  
3 case-by-case basis. And this individual review is  
4 particularly important for uranium. Such a review allows  
5 the state and the public an opportunity to address site-  
6 specific concerns. If uranium mining and milling are to  
7 resume in New Mexico, the state must be sure that the  
8 public is given a robust opportunity to participate in the  
9 decisions, and that all environmental water, resource, and  
10 potential public health issues are thoroughly examined for  
11 each operation."

12            And I think I have to agree very much with Paul  
13 Robinson about the fact that you can't do this in two  
14 minutes or three minutes, or two hours or five hours. You  
15 need a process that will take along time, and if you've  
16 been working on this preparation and just now we are  
17 getting an opportunity at this, we need a dialogue, we  
18 need to be able to talk to the people who are doing this  
19 to us. So I suggest that we look at many, many, many,  
20 many more meetings. Thank you.

21            MR. SUBER: First of all, I'd like to thank you  
22 for that comment. And this is scoping process, and we  
23 take that comment that you are interested in having more  
24 meetings about this topic, but I would like to make one  
25 clarification, and I mentioned it in my presentation.

1           The generic environmental impact statement is  
2 one part of the review. Each application that comes into  
3 the NRC is going to receive two other reviews. The one is  
4 a safety review that Bill Von Till's section is going to  
5 do, and one is the supplemental environmental review that  
6 the NRC is going to do.

7           So I just wanted to make the clarification that  
8 this generic review does not cover the site-specific  
9 aspects and that there is a site-specific environmental  
10 review that will be done for each and every license  
11 application. Thank you.

12           MR. RAKOVAN: Thanks, Ms. Barrett.

13           And thanks, Greg, for the clarification.

14           Next, Chris Shuey.

15           MR. SHUEY: So like Mr. Stairs, I'm a little  
16 height challenged so I'm going to use this here. You may  
17 be surprised that I actually agree with a comment that Mr.  
18 Stairs made, which points to the difficulty of a generic  
19 approach to these issues.

20           He pointed out and called for improvements in  
21 the generic monitor well approach to ISL operations. It's  
22 actually 400 foot uniform spacing, and all these ISL  
23 operations that we've looked at have ore bodies in much  
24 narrower channels than that. And so the issue is that you  
25 can still get excursions moving between monitoring wells,



1 and you'll never detect them until it's too late.

2 This is an example of what you, the NRC, has  
3 already done to reduce ISL operations to some form of  
4 generic cookie-cutter, you know, one size fits all. And  
5 this is why, an example of why, a generic approach is not  
6 going to be able to deal with all the site-specific issues  
7 that will arise in every licensing decision that you make.

8 You're careful to talk about the safety  
9 evaluation report that Mr. Von Till's office does, and Mr.  
10 Suber's office does the -- you said supplemental  
11 environmental review. None of you, unlike the gentleman  
12 from Neutron Energy, is the only one who's assured anyone  
13 here that that doesn't eliminate the need for an EIS for  
14 every licensing decision.

15 So you're being very careful. So this is why  
16 we're a little dubious about this approach, this GEIS, the  
17 generic approach, because it sounds -- and I think that  
18 several of the commenters from the industry side, have  
19 made this point pretty clear -- it sounds like it's simply  
20 a way to streamline a process, and to keep the public out.

21 As many of you know, we've spent 13 years,  
22 parts of 13 years, going through and in sub-part L,  
23 licensing adjudication over the HRI license. We learned a  
24 lot. I'm not supposed to say too much about it because  
25 it's on appeal. But we've learned a lot from that effort.

1           There is tremendous site-specific information  
2 at each one of these sites that has to be taken into  
3 account. It is a -- every license decision is a major  
4 federal action significantly affecting the human  
5 environment. That's the trigger for NEPA, and EIS. What  
6 you're telling us is, is that it's quite likely that we'll  
7 never see an EIS for any of these site-specific licensing  
8 decisions. That's what gives us heartburn about the GEIS  
9 approach.

10           My view is that you could spend your resources  
11 more wisely by conducting, through some sort of  
12 independent third party, an actual evaluation of ISL  
13 performance over the last, what, 35 years. The last  
14 published ISL evaluation that you did was 1985. The lead  
15 author was William Staub.

16           Well, gee, 14 years later he turns into one of  
17 the experts for our case in the HRI matter. Okay. Why?  
18 Because he was pretty concerned about the issues that he  
19 was seeing in a new application, some of the same issues  
20 that he had evaluated with -- on ISL performance back --  
21 it was back in the '60s -- excuse me, the '70s and into  
22 the early '80s.

23           That has not been done. You haven't done an  
24 independent evaluation of this technique that you are now  
25 saying is going to be the model for the rest of the

1 industry from here on out. It's -- you have to understand  
2 that half my time is spent out in these mining impacted  
3 areas. Not just with mines that you don't regulate, but  
4 with mills that you do regulate, dealing with the legacy  
5 that has affected these communities and affected the  
6 people.

7 We just had, what, two months ago five families  
8 relocated from their homes for two weeks while six to 12  
9 inches of radium-contaminated soils were removed from  
10 around their home so it'd be, quote, "Safe for them to  
11 live," sandwiched between two mines.

12 You know, you can talk about the benefits to  
13 McKinley County, or Cibola County, or Sandoval County.  
14 There's 150 some abandoned mines in McKinley County,  
15 nobody's making any money off of those right now. There's  
16 another at least 50 that we know of in Cibola County. The  
17 St. Anthony open pit mines are still open, they're still  
18 contaminating ground waters and surface waters on Seboyeta  
19 land grant draining into Laguna Pueblo.

20 There's no reason to believe that any of these  
21 impacts from the past have been addressed to the extent  
22 that they need to be addressed, while we're talking about  
23 doing a generic impact study that will generate very few  
24 site specific answers for you.

25 We -- as you know, you held meetings with,

1 what, HRI in April, Strathmore and Rio Grande Resources  
2 two days later, Homestake in between. Several members of  
3 the community took advantage of the opportunity to do  
4 that. We went along on one of the tours. People  
5 protesting in Crown Point took part in that to make it  
6 clear to you that the world doesn't just revolve around  
7 the regulated community.

8 My suggestion is, is that it's time to spend  
9 some time in the communities that have been affected.  
10 Learn and listen. Go to Mr. Ness's house and sit in his  
11 living room, sleep at his house for a while, while you're  
12 in the shadow of an unreclaimed mine 500 feet away.

13 It's really time to change the agenda from  
14 being what -- from giving the appearance of being  
15 supportive of the industry and start to support the public  
16 interest for what your statutory authority it's what  
17 you're supposed to be doing. Thank you.

18 MR. RAKOVAN: Thank you very much for that  
19 comment, sir.

20 Eric Jantz, New Mexico Environmental Law  
21 Center.

22 MR. JANTZ: Thank you. My name is Eric Jantz.  
23 I'm a staff attorney with the New Mexico Environmental Law  
24 Center, and I'm here on behalf of the Southwest Research  
25 and Information Center and the Haaku [phonetic] Water

1 Division of the Pueblo of Acoma.

2 The first thing I'd like to say is that the  
3 GEIS process that we're involved in right now is most  
4 notable, I think, for its absences. What's missing? I  
5 think the first thing and the most -- possibly the most  
6 important thing that was missing from this process is that  
7 there has been no, absolutely no public discussion about  
8 whether there should be a GEIS on this issue at all.

9 To my knowledge this -- it's been a foregone  
10 conclusion that a GEIS is going to be made and now, only  
11 now, do we get -- the public get to be involved in the  
12 process. And that's important, because the GEIS process,  
13 or a GEIS itself, doesn't do two very important things.  
14 It doesn't address site-specific issues. By definition it  
15 only addresses generic common issues.

16 So it's absurd to think that site-specific  
17 issues like hydrology, geology, cultural property,  
18 existing pollution, environmental justice issues can be  
19 addressed in a generic environmental impact statement that  
20 covers an entire region at least, if not the entire  
21 nation.

22 And my question to the Nuclear Regulatory  
23 Commission staff, and I think we deserve an answer, is  
24 what's left, what are the common issues that are going to  
25 be addressed, given that the site-specific issues can't be

1 addressed in the context of a GEIS?

2 Second, a GEIS is ultimately going to limit  
3 public input and environmental analysis. Again, Mr. Suber  
4 was very careful to note that a supplemental environmental  
5 review would be done, but he did not say an environmental  
6 impact statement. If the supplemental environmental  
7 review consists of environmental assessments, then public  
8 participation in those is limited, if not completely  
9 restricted.

10 And I think most importantly is that analysis  
11 is that by the NRC's own legal analysis, environmental  
12 justice analysis isn't required for an environmental  
13 assessment. That was made clear in its final federal  
14 register notice of its environmental justice policy. So I  
15 think for site-specific environmental justice analysis we  
16 can say good-bye, that in the event of a GEIS, at least  
17 the way things stand now.

18 Going to the scoping process itself, it's been  
19 woefully inadequate. The scoping process had not had any  
20 meetings in any of the communities. There's nothing been  
21 done in Grants, the Navajo Nation, the Pueblo of Acoma,  
22 the Pueblo of Laguna, South Dakota, Colorado, Utah,  
23 Virginia, the list goes on.

24 Casper, Wyoming and Albuquerque were the extent  
25 of the public comment periods to date. It would be good

1 to get a commitment from the NRC for widespread and far  
2 flung public community meetings.

3 There's been no indication that any tribal  
4 consultation has been done. As trustee for tribes, the  
5 federal government has a legal obligation to consult.  
6 That, to my knowledge, has not been done. Again, a  
7 commitment by the NRC in writing to consult with affected  
8 tribes, or potentially affected tribes, is necessary.

9 There's been no indication of the track record  
10 of the ISL industry, as Mr. Shuey pointed out. And I  
11 think this is particularly important of light of Mr. Von  
12 Till's Powerpoint presentation which seemed to, with all  
13 due respect, to be more of a commercial for the uranium  
14 mining industry than an objective analysis of the industry  
15 itself.

16 And to that end I'd like to say that you can  
17 look forward to comments, written comments, from the law  
18 center on behalf of its clients. And to that end, I'd  
19 like to put on the record that we'd appreciate additional  
20 time beyond the September 4 comment deadline in order to  
21 submit those comments. Thank you.

22 MR. RAKOVAN: Thank you, sir.

23 Next I have Joni Arends from CCNS.

24 MS. ARENDS: Good evening everyone. My name is  
25 Joni Arends. I'm with Concerned Citizens for Nuclear

1 Safety, a Santa Fe based non-profit organization that has  
2 been watch dogging the Department of Energy in New Mexico  
3 for almost 20 years.

4 I have a couple of specific comments, as well  
5 as general some comments. I would appreciate it if the  
6 presentations would be available for us to have copies of  
7 in terms of the public participation, to be able to take  
8 those materials home and to be able to study them and to  
9 use them in my comments on the GEIS.

10 A lot of the presentations emphasize that the  
11 NRC wanted public input. However, this meeting was not  
12 properly advertised. As many people have said, they just  
13 learned about it today. That's not okay.

14 The *Federal Register* notice was releases  
15 less -- or a little bit more than two weeks ago. That's  
16 not enough time to allow for the public to, especially  
17 during the summer time, to come out and -- when people are  
18 on vacation, to be able to come out and make comments.

19 And as Eric Jantz said, and others have said,  
20 further scoping hearings need to be scheduled with more  
21 than two weeks notice. They need to be -- scoping  
22 hearings need to be held in impacted communities, not only  
23 here in New Mexico and Arizona and Utah, but also in the  
24 Black Hills of South Dakota.

25 The fact that the NRC did not go over to South



1 Dakota where there's a major -- also in a major boom for  
2 uranium mining is woefully inadequate.

3 And I just want to note that today is the 62nd  
4 anniversary of the bombing of Nagasaki, which was a bomb  
5 made from uranium.

6 In order to provide informed public input, the  
7 public needs a 60 day extension of time for public comment  
8 on the scope. We need more scoping hearings in the  
9 impacted communities. Okay. So now I'm going to start  
10 about specific scoping comments.

11 In the draft GEIS, you need to include specific  
12 examples of where industry has been able to restore ground  
13 water to meet safe drinking water standards. And you need  
14 to document that and you need to provide citations for  
15 that so that we can go back and look at examples where  
16 industry has met those requirements, because as far as I  
17 understand, industry has never met those requirements.

18 Secondly we need information as to using, in  
19 terms of this monitoring well network, we want to see what  
20 are the requirements for the sampling and analysis plan.  
21 What are the sampling requirements? What is the analysis  
22 requirements? Are you using the most sensitive sampling  
23 methodologies in order to find the lowest detection limit  
24 for any of these radionuclides or other solvents?

25 We want to see those numbers, we want to see

1 those methods, we want to see the numbers, we want to see  
2 the, you know, ATSM numbers, whatever numbers, we want to  
3 see those numbers because we want to find out if there's  
4 even lower detection methods out there. Because our  
5 organization works with the Department of Energy, and this  
6 is a little thing that they like to do, is they don't like  
7 to use the most sensitive detection, most sensitive  
8 analysis.

9 We want you to look at energy conservation. We  
10 want to look at how much energy can we save by conserving  
11 in this country, as opposed to opening up uranium mines  
12 again. We want to see that comparison in the GEIS.

13 And if you're going to use the global warming  
14 argument as justification for the GEIS, then what we want  
15 to see is we want to see a document that talks about all  
16 of the existing waste right now that hasn't been dealt  
17 with from past uranium mining, milling operations  
18 throughout the United States. And we want to see the path  
19 forward for all of that waste.

20 We want to see the numbers in charts, we want  
21 to see them in numbers that make sense to people, we want  
22 comparisons to football field size amounts of waste spewed  
23 all over this country. And we want to see that comparison  
24 to where the path forward is for the disposal of all that  
25 waste.

1                   Finally, sir, you talked about a separate  
2 analysis with regard to the security. And what I want  
3 to -- we want to find out is, if you're going to do a  
4 security analysis, is it going to be like for the LES  
5 facility, the Louisiana Energy Services facility? Is it  
6 going to be that you have to sign a confidentiality  
7 agreement in order to review the security analysis, even  
8 if it's available?

9                   So you need to state that in GEIS. What are  
10 the requirements in terms of security. What requirements  
11 need to be -- do you have to sign an agreement, do you  
12 have to be a party to any protest to that? How are we  
13 going to find out about how that security process is going  
14 to go forward analysis?

15                   And finally, Mr. EPA, where are you? Would you  
16 please come to the Greater Than Class C hearing next  
17 Tuesday night in Los Alamos and talk about the Office of  
18 Radiation and Indoor Air, and talk about concerns about  
19 the burial of greater than class C DOE waste?

20                   Because they're proposing to do that at Los  
21 Alamos National Laboratory located on the Paharito Plateau  
22 above the Rio Grande where detections of plutonium 238  
23 have already been found in the Sante Fe drinking water  
24 supply.

25                   So if you could come to that hearing, we would

1 appreciate it, and be as forthcoming to the Department of  
2 Energy about the concerns about public health and  
3 protecting the environment. We would surely appreciate  
4 it. So thank you very much.

5 MR. RAKOVAN: Andy Campbell.

6 MR. CAMPBELL: Yes, for -- to all those --

7 MR. RAKOVAN: I'm not sure if that one works.  
8 You might as well come up here.

9 MR. CAMPBELL: We did not want to bring 100 or  
10 more pounds of paper with us to hand out paper copies of  
11 the presentations. So we ask for your e-mail addresses  
12 and we will e-mail to you PDF files of the presentations.

13 We'll scope them down in font -- I mean, in the  
14 size of the file, so those of you that have dial up can  
15 receive those files. We'll make them small enough that a  
16 dial up person can receive them.

17 So if you haven't provided your e-mail address,  
18 please do so. That will also give us a database for  
19 future meetings, interactions, notices, and so on. We're  
20 going to try and build a database.

21 And one last thing, we will be building a  
22 website on the NRC's website and post these materials and  
23 try and keep people up to date. We feel that would be a  
24 good way to stay in touch with people rather than bringing  
25 hundreds of pounds of paper with us on the airplane.

1 Thank you.

2 MR. RAKOVAN: We have a question about -- if  
3 you're going to ask a question, I'm going to have to ask  
4 you to come to a mike though so we can get it on the  
5 transcript.

6 VOICE: Not everybody has computer access,  
7 internet access. So what are you going to do about people  
8 who want the information who can't get it by e-mail?

9 MR. CAMPBELL: I would hope that we would drop  
10 it in the mail to them.

11 VOICE: Okay.

12 MR. CAMPBELL: So provide your --

13 VOICE: Thanks. You should have made that  
14 clear.

15 MR. CAMPBELL: -- snail mail address.

16 MR. RAKOVAN: Michael Jensen.

17 MR. JENSEN: Hi. Michael Jensen. I work for  
18 Amigos Bravos. We're a statewide river and water  
19 protection organization up in Taos with an office here in  
20 Albuquerque.

21 What's driving this -- if you look at the  
22 national media, *LA Times*, *New York Times*, *Wall Street*  
23 *Journal*, if you look at some of the industry coverage of  
24 this, it's being driven by speculation, prices are being  
25 driven up by speculation.

1           And I would imagine that one of the things that  
2 driving the GEIS process is that getting a GEIS out is  
3 going to make it easier for speculators to start trade in  
4 permits. I don't think that we really need to expedite  
5 the process.

6           Also, out of concern for the NRC's limited  
7 staff time and budget, and the express concern by the  
8 conventional industry that the 1980 GEIS get reviewed, I  
9 would suggest that they just take this one off their table  
10 now until they get that one done and fit it into the time  
11 line of ISL production and the need perhaps some decades  
12 from now for more uranium.

13           Common ISL issues. The only common ISL issues  
14 that I'm aware of are not very good for the public health  
15 and the environment. And if we're going to have a GEIS  
16 based on those common ISL issues, learn from decades of  
17 analysis here and elsewhere, I would suggest, again, that  
18 perhaps in the interest of limited resources and time just  
19 take it off the table.

20           What else? Let's see, we work, to the extent  
21 that we work with mining issues, with the hard rock mining  
22 industry. And a study came out last year analyzing the  
23 U.S. hard rock industry and how permitting and remediation  
24 claims actually work out in reality.

25           The general conclusion of that report was that

1 you could flip a coin and get a better conclusion, a  
2 better guess about the permit living up to its stated  
3 claims. In reality, and I'm not saying that the mining  
4 community is pernicious or evil or bad, but in all  
5 sincerity, people put their best case forward, they make  
6 their stated claims, you know, for the -- as, you know, a  
7 regulated community.

8 The best case scenarios and the regulators, we  
9 all know they come from and they hope to go back to the  
10 regulated industry, because, my God, they pay a whole lot  
11 more, and what you get is permits that don't reflect  
12 reality and remediation that doesn't work.

13 That's -- the hard rock mining industry groups  
14 that work with other regulated communities can tell you  
15 the same thing. It's the way the process works. So take  
16 everything that you hear here with more than a grain of  
17 uranium. Okay.

18 Energy. NREL in Colorado, the National  
19 Renewable Energy Laboratory, did a study on the amount of  
20 U.S. energy demand that could be reduced through  
21 conservation and renewable energy. They put that report  
22 up on their website, and during the run up to the energy  
23 development plan out of Dick Cheney's office, that report  
24 was ordered taken down.

25 The conclusion of that report was that we could

1 significantly reduce energy demand in the U.S. through  
2 conservation and renewable energy technologies. Again,  
3 there's not a big press to do this, and in the interest of  
4 your limited resources and time, why don't you just wait a  
5 little while.

6           Jobs. I have an incredibly deep respect for  
7 the people who need jobs in these communities. I would  
8 believe that all of us on the environmental justice side  
9 of the equation here respect that because we actually  
10 spend a lot of time in those communities. We know what  
11 goes on in those communities. Please don't make this a  
12 jobs versus public health and environment issue. It  
13 isn't. Okay.

14           Study after study, including one that just came  
15 out last week, show that in the west recreation and  
16 tourism provide way more jobs, sustainable jobs, than the  
17 mining industry does. So if you want jobs, go to Senator  
18 Ulibarri and the other policy makers in your cities and  
19 your counties and ask them to go after those good,  
20 sustainable jobs.

21           The Western Governors Association this whole  
22 decade has been pushing for that they call the restoration  
23 economy. Abandoned mines, partially cleaned up mines,  
24 there are a lot of jobs available cleaning up the mess  
25 that has already been made. We don't need to make more of



1 it before we clean up what's already out there, and it  
2 provides jobs, good jobs.

3 ISL, you saw those presentations, there are a  
4 lot of machines, there weren't very many people there.  
5 It's not going to provide very many jobs. The jobs it  
6 provides should be well-paying, but it's not going to  
7 provide a lot of jobs. There were three cars in the  
8 parking lot in that picture they showed of the facility.

9 Okay. Thank you.

10 MR. RAKOVAN: Thank you for your comments, sir.

11 I just want to point everybody out that it's a  
12 little after 9:00 right now. We've still got a lot of  
13 people that need to talk, so we're going to try to get  
14 through them as quickly as possible.

15 If someone has made a comment that you are --  
16 just want to reiterate or that you agree with, you can  
17 just go ahead and say that. It'll be in the transcript so  
18 we'll have all that language down.

19 Next I've got Ruth Armijo.

20 VOICE: Armeeho [phonetic].

21 MR. RAKOVAN: Arribo? Sorry. Sorry. This is  
22 an Ohioan trying to wrap my tongue around this stuff.

23 MS. ARMIJO: Okay. My name is Ruth Armijo.  
24 I'm president of the Juan Tafoya Land Grant, and I'm also  
25 a rancher from Mount Taylor area.

1           We leased our land for uranium mining. I'm all  
2 for uranium mining and support the jobs it will bring to  
3 our people. I hope that our nation can continue to depend  
4 on our resources and not foreign countries. Thank you.

5           MR. RAKOVAN: Thank you, Ms. -- aw, I'm going  
6 to -- I got it wrong right off the bat. I'm not even  
7 going to try anymore.

8           Melvin Capitan?

9           MR. CAPITAN: Good evening. My name is Melvin  
10 Capitan, Jr. I'm a geologist for HRI Energy. I just had  
11 a couple of comments.

12           First, I work with the EPA, NEMO EPA, for six  
13 years under the underground injection control. A couple  
14 of comments I have is that -- or anti-groups are sending  
15 out the wrong messages of uranium. Quit using  
16 annihilation, genocide, holocaust. The top three killers  
17 on the Navajo Nation is poverty, alcohol and drugs.

18           Another comment I have is, have you, the  
19 groups, media, have shown the Navajo people what the EIS  
20 is all about? I don't think so. I have asked throughout  
21 New Mexico and Arizona and Utah.

22           They don't know what an EIS is all about. You  
23 have to explain to it in Navajo to them, not only in a  
24 day, two, week, month, years. It takes some time to get  
25 grandma and grandpa to get so in with you to understand

1 what you're talking about. Thank you.

2 MR. RAKOVAN: Thank you for your comments, sir.  
3 Rosemary Blanchard?

4 MS. BLANCHARD: Okay. I was coming here on my  
5 own behalf and I was given a paper -- I was given a set of  
6 comments by Mr. James Zion, who is an attorney  
7 representing the Nation Indian Youth Council and the  
8 Forgotten People, who used to be called the Forgotten  
9 People of the Bennett Freeze Area. And so I'm going to  
10 very briefly address their statement, because it's in  
11 writing, and so it can also be submitted in writing.

12 What in particular this statement addresses is  
13 the fact that there needs to be -- in each and every  
14 individual case of application for a site license there  
15 needs to be a robust environmental justice analysis. It's  
16 very, very briefly in your *Federal Register*.

17 But, in fact, in the areas in the Southwest  
18 where uranium has been mined in the past, where uranium  
19 miners have died, where water has been polluted, where  
20 ways of life have been affected, it's going to be  
21 necessary that you, in fact, address -- and they had --  
22 they introduced me to something I didn't know about.

23 Executive order 12898, which is the executive  
24 order that requires that all federal agencies have a  
25 process for an environmental justice analysis whenever

1 they're activities are affecting minority populations and  
2 low income populations.

3 And I'd remind you there's another executive  
4 order, and I never can remember the numbers of these  
5 things, that specifically requires that whenever an action  
6 of any federal agency affects Indian people, that there  
7 has to be -- the agency has to have specific ways that it  
8 will interact on a government to government basis with  
9 American Indian nations to address those issues.

10 And so I think it's important to ask the  
11 question, how are you going to generically do that? And  
12 my recommendation, the recommendation of the statement  
13 also, is you probably cannot do that. You're going to  
14 have to look at the history of the effects of uranium  
15 mining on particular minority and indigenous populations  
16 in looking at what are the environmental justice issues  
17 that arise around those people.

18 Now the GEIS -- getting back to what I was  
19 going to say -- the GEIS is not in place of an individual  
20 analysis of the applications, but it is going to set the  
21 parameters for that individual analysis. There's going to  
22 be things that are not within the scope of what you look  
23 at in the individual analysis, because that wasn't in the  
24 frame of reference that the GEIS created. That's going to  
25 be a problem.

1           Now another concern, one speaker said the GEIS  
2 is going to have -- be a really good thing to have because  
3 it's going to be unbiased. And I hope, frankly, that we  
4 will all have access to the full transcript of this  
5 meeting, not only the transcript of what we, the public,  
6 have said, but the transcript of what the presenters have  
7 said. And not only what they've put up on the screen, but  
8 what they've said.

9           Because I think in what they've said, there's a  
10 question that certainly arose in my mind as I was taking  
11 notes about the unbiasedness of the presentation. In one  
12 case ISL was called -- I think it was Mr. Till who called  
13 it the wave of the future. Now the GEIS hasn't happened  
14 yet and we already know it's the wave of the future?  
15 That's sort of the cart before the horse.

16           In another case there was a description of how  
17 there was the requirement to return the water to the state  
18 it was before. And I've got to read the transcript to  
19 figure out how we got from there to where we ended up, but  
20 the last thing in that sequence was talking about how you  
21 get an exception to the Environmental Protection Act for  
22 the site where you're doing the in-situ leaching.

23           Well, if already you're talking about how you  
24 get an exception to the Environmental Protection Act, then  
25 are you really talking about restoring that water to the

1 state it was in before? How did those two things end up  
2 in the same little piece of the presentation? So I really  
3 hope we get to read the transcript too, and not just a  
4 transcript of the parts that we said.

5 Now, very briefly, I want to give two  
6 experiences from my own past. I am now a professor of  
7 education at California State University, Sacramento.  
8 Fortunately I still get to hang out around here in the  
9 summer time. But I spent six years working with the  
10 Navajo Division of Education, I spent eight years on the  
11 faculty of UNM Gallup.

12 In both of those situations I bumped into the  
13 consequences of the uranium mining of the past. I saw --  
14 a student turned in part of a sociology project, had found  
15 a report from the Indian Health Service. Some of you may  
16 remember that there was a big uranium tailing spill at  
17 Church Rock and a lot of the water went down the watershed  
18 of Rio Puerco to the west and to the south.

19 I saw a report, a report published by the  
20 Indian Health Service. It was as official as they come.  
21 What it said to the traditional people along that waterway  
22 was that they could grow their sheep, but they probably  
23 shouldn't eat them. I'm not kidding. That's what it  
24 said.

25 Now I don't know how that translates into

1 Navajo, but it was a pretty cynical statement I thought.  
2 So did the student who used it as an attachment to their  
3 social problems report.

4 Before that I had been -- when I was with the  
5 Navajo Division of Education, I was in a meeting with the  
6 Indian Health Service, the Bureau of Indian Affairs, and  
7 some of us from the Navajo Nation about the people who  
8 were going to be living in the new lands.

9 Interesting thing, they were going to have to  
10 dig -- the Indian Health Service was going to have to dig  
11 deep artesian wells for those people. Why? Because the  
12 ground water, the aquifer, was so polluted with uranium  
13 tailings as a result of the spill.

14 We wanted to tell the local elementary school  
15 these kids were going to be going to, because they were  
16 using that water. The Indian Health Service said it  
17 wasn't their business to tell the school. The Bureau of  
18 Indian Affairs said it wasn't their business to tell the  
19 school.

20 Thank God there were a couple of us there  
21 working for the Navajo Nation who figured maybe it was our  
22 business to tell the school, so we told the superintendent  
23 you might want to check the water.

24 My question is, who's responsibility is it  
25 going to be to deal with failures of containment when they

1 happen? Will it be the Nuclear Regulatory Commission?  
2 Will they fix it? Will they clean it up? Who will be  
3 responsible? Nobody was responsible in regard to the wash  
4 down the Rio Puerco. Who will be responsible both if and  
5 when it's not as clean as everybody says it is?

6 Thank you. And here's the statements.

7 MR. RAKOVAN: Thank you. And I've got your  
8 statements.

9 MS. BLANCHARD: And I will be sending you a  
10 written version of mine too.

11 MR. RAKOVAN: Okay. Rick Van Horn?

12 MR. VAN HORN: I would like to yield my time to  
13 Ben House, who's here representing 14 allottees, if I  
14 could.

15 MR. RAKOVAN: You'd like to yield your time?  
16 Sorry. Could you come to a mic and say that so we can get  
17 that on the transcript?

18 MR. VAN HORN: Yes, sir. My name is Rick Van  
19 Horn. I represent Uranium Resources. I would like to  
20 yield my time to Benjamin House who's representing 14  
21 allottees who've traveled all the way from Crownpoint to  
22 address this meeting.

23 MR. RAKOVAN: Okay.

24 MR. HOUSE: Mr. Chairman and members of the NRC  
25 Commission. On behalf of the Eastern Navajo Agency



1 Allottee Association, I'd like to thank you for allowing  
2 me to make a statement reflecting the uranium issue.

3 My name is Benjamin House, an allottee and  
4 president of the Eastern Navajo Allottee Association  
5 representing more than 400 allottee who own allotments or  
6 lands in the Eastern Navajo Agency. Allottees  
7 wholeheartedly supports the in-situ recovery mining of  
8 uranium on their properties.

9 As U.S. citizens, we have the constitutional  
10 rights to utilize our land in any way, any manner that we  
11 choose. We feel that we have been denied these  
12 opportunities because of lack of assistance from our  
13 elected tribal leaders.

14 We feel that knowledgeable and reasonable  
15 decisions by our tribal leaders are hampered by the  
16 continual interference and drummed up misconception of the  
17 in-situ recovery by Eastern Navajo Allottee -- Eastern  
18 Navajo Dine Against Uranium Mining.

19 Members of the panel, what we lack in the  
20 Navajo Nation are economic development and jobs. The  
21 Navajo Nation and its people have serious social problems  
22 with alcohol and drugs that result from lack of  
23 employment. We have the resources to improve our economy.  
24 A very important natural resource within the Navajo  
25 Nation is uranium.

1           New Mexico leads the nation in known uranium  
2 resources. The allottees, our neighboring Navajo  
3 communities, and citizens of New Mexico will benefit from  
4 a strong and needed economic boost. Some of us allottees  
5 and Navaho Nation officials have visited HRI's parent  
6 companies' operations. We learned they were clean, safe  
7 and environmental benign.

8           The proposed mining affects our environmental  
9 interest, but in our opinion and belief that there has  
10 been sufficient studies, particularly evidenced by a  
11 final environmental impact statement to proceed opening  
12 the mine.

13           The allottees appreciate and support the NRC's  
14 efforts on the generic environmental impact statement for  
15 in-situ recovery mining and milling. We believe it will  
16 separate facts from fiction and finally provide the truth  
17 about the methods so all citizens can make informed  
18 decisions. Thank you.

19           MR. RAKOVAN: Thank you, sir.

20           Danny Charley.

21           MR. CHARLEY: Good evening, ladies and  
22 gentlemen. My name is Danny Charley. I'm an allottee  
23 landowner. I just would like to say that I support ISL,  
24 in-situ leach mining, in our area because of the jobs that  
25 are needed. We have people -- we are in dire need of jobs

1 in our community.

2 We have people that are selling drugs just to  
3 make ends meet. People have to sell their stuff at flea  
4 markets to put bread on the table. And what about these  
5 people that are against uranium? Will they bring us jobs?  
6 No. They don't come to our community and see what's in  
7 our refrigerators. No.

8 Like the man said, why can't we all sit down at  
9 one table, at one table, and make something positive out  
10 of this? Why can't we all get together and work -- and  
11 make this work? Why do we have to instill fear into our  
12 people and say [speaking Navajo].

13 You know, we don't need to talk like that. Why  
14 can't we just all work together and make something  
15 positive out of this and make it work? Yes, we're going  
16 to -- it's going to put a good amount of money in our  
17 pockets. But it's also going to help our community, my  
18 community of Crownpoint.

19 I've known HRI for 20 years, and I myself, as  
20 an allottee, will not just sit there while something's  
21 going wrong. Before I sign the lease, I'm going to make  
22 sure that my people, my Navajo people, are protected  
23 first. I'm going to make sure that they're going to be  
24 safe.

25 We need jobs in our community, in our

1 surrounding areas. That's all I have to say.

2 MR. RAKOVAN: Thank you, sir.

3 Steve Cabaniss from the University of New  
4 Mexico.

5 MR. CABANISS: Thank you. My name is Steve  
6 Cabaniss. I teach chemistry at UNM, but I'm not here  
7 representing the university. I hope you'll forgive me if  
8 this sounds a little academic. I have here an NRC report  
9 published on the web in January; it was written by U.S.  
10 Geological Survey scientists at the request of NRC's  
11 Office of Nuclear Regulatory Research.

12 So, Mr. Shuey, Mr. Jantz, you both commented  
13 there had not been a systematic review of ISL, and that's  
14 true. This is not a systematic review; However, this  
15 paper does give two examples of completed ground water  
16 restoration at uranium ISL sites. One of them is the A-  
17 Wellfield, Highland in Wyoming, the second is the Crow  
18 Butte Mine, Unit Number 1, in Nebraska.

19 The A-Wellfield restoration took seven years,  
20 from 1991 to 1998. They further collected stabilization  
21 data until 2003, and in 2004 the NRC determined that the  
22 A-Wellfield had been restored in accordance with the  
23 applicable regulatory requirements. That's a quote from  
24 this document.

25 Well, what does that actually mean? What

1 does -- in particular, what does it mean to restore the  
2 water? Here come a few numbers, I can't help, but I'm a  
3 chemist, please bear with me. In 1987, before they  
4 started, there were 50 micrograms of uranium per liter in  
5 that ground water. At the end of mining that had gone up  
6 to 40,000 micrograms per liter.

7           And that was when they began the remediation.  
8 And they knocked that all the way down from 40,000 to  
9 3,500. That's a factor of 10. That sounds pretty good.  
10 But the EPA does have, on these MCLs, the so called  
11 maximum contaminant level, but some idea of how low the  
12 uranium should be before it's going to be consumed.

13           Their idea is with people, but I think the same  
14 level holds true for sheep. And their level is 30  
15 micrograms per liter. So on one hand it's true, before  
16 these people started mining that water was high in uranium  
17 relative to the EPA expectation.

18           But when they were finished and when the NRC  
19 had given their approval and said this was restored, it  
20 was 30 times higher than the EPA level. It was -- excuse  
21 me, it was 100 times higher than the EPA level. It was 70  
22 times higher than the level it had been before they began  
23 the mining.

24           I won't go through the other site in quite the  
25 same detail. I'll just tell you that that took nine years

1 total restoration and monitoring, and that at the end of  
2 it the restored ground water had 30 times as much uranium  
3 as it had before they started -- excuse me, 30 times  
4 higher than the EPA limit, 10 times than before they  
5 started.

6 So on the one hand Mr. Von Till has stated  
7 that, "We require that the companies restore the ground  
8 water to the way it was." Well, I think that's a worthy  
9 goal, but it doesn't seem borne out by NRC history and  
10 practice.

11 Restored should not mean less poisonous than  
12 mine drainage. Restored, I think, ought to mean safe to  
13 drink. But if it doesn't mean safe to drink at a minimum,  
14 it ought to mean that it's no worse than the water was  
15 before they started mining.

16 So, Mr. Charley, when you sign that lease,  
17 because I expect at some point you will have an  
18 opportunity like that, why don't you make sure that the  
19 people you're signing it with understand that the water,  
20 when they're finished, is supposed to be as clean as when  
21 they started. Thank you.

22 MR. RAKOVAN: Thank you, sir.

23 Okay. The next card -- and I apologize. It  
24 looks like Paul, either Frye or Faye.

25 MR. FRYE: My name's Paul Frye. I'm speaking

1 here on behalf of the Navajo Nation Attorney General.

2 There will be written comment submitted later. I'll  
3 summarize some of the -- falling microphones -- some of  
4 the comments that will be submitted to the NRC.

5 First of all, greetings to a lot of people who  
6 I haven't seen for a while. My old client, Commissioner  
7 Becenti, [speaking Navajo]. The Allottees Association,  
8 you don't know it, but I represented you for 13 years in  
9 litigation against the United States, in part because the  
10 United States claimed to own the uranium under some of the  
11 allotments under the Atomic Energy Act of 1950.

12 And after the United States Department of  
13 Justice was found to be intentionally obstructing justice  
14 in that case it, it was settled so that the allottees now  
15 own all of the minerals, including the uranium under the  
16 allotments. And that was -- that litigation was funded,  
17 in part, by the Navajo Nation. I know we have our  
18 differences now, but the Navajo Nation generally supports  
19 the rights of allottees.

20 The findings of the Navajo Nation Council last  
21 year include the following, the fundamental laws of the  
22 Dine, the Navaho People, support preserving and protecting  
23 the Navajo Nation's natural resources, especially the four  
24 sacred elements, and it's the duty and responsibility of  
25 the Navajo to protect and preserve the natural world for

1 future generations.

2 Social, cultural, and natural resources and  
3 economic damage to the Navajo Nation from past uranium  
4 mining and processing is ongoing due to the continuing  
5 need for full monetary compensation for former Navajo  
6 uranium workers and their families, for their radiation  
7 and mining induced diseases and death.

8 I've heard some people refer to this as an  
9 emotional issue. You bet it is an emotional issue when  
10 you've got your family members dying around you.

11 (Applause.)

12 MR. FRYE: The Navajo government respectfully  
13 submits to the NRC that there is no other political or  
14 geographical area in the United States, and perhaps the  
15 world, that has suffered and continues to suffer from the  
16 environmental impacts of past uranium mining and  
17 processing to the same extent as the Navajo Nation.

18 So when we talk about a generic environmental  
19 impact statement that deals with environmental justice,  
20 it's either not going to work at all because that has to  
21 be dealt with on a site-specific basis for each of the  
22 proposed mining areas on the Navajo Nation, or it has to  
23 result in basically a no action recommendation in the  
24 environmental impact statement for the entire Navajo  
25 Nation.



1           In the Eastern Navajo Agency where the current  
2 activity is being proposed, there's a superfund site that  
3 the government has long been trying to clean up since  
4 1979. There's a 100 million gallons of radioactive sludge  
5 going down the arroyo that everybody lives next to and  
6 their livestock inevitably graze in. There's no end in  
7 sight.

8           A few miles up the road from the superfund  
9 location, contractors under the direction of the EPA are  
10 conducting an emergency removal operation at a former  
11 uranium mine site that within the past few months required  
12 the temporary relocation of Navajo families.

13           So here's a few recommendations, and some of  
14 these come from personal experience, so they may not  
15 represent the views of the Navajo Nation. First of all,  
16 sort of borrowing from the medical profession, the first  
17 thing is to do no damage. In this process, let's make  
18 sure that there isn't misinformation given to the public.

19           I almost left to redo my last will and  
20 testament when I found out that the water at Crownpoint  
21 was already contaminated with uranium because I lived  
22 there for four years, and thank God somebody over in the  
23 site told me that that water actually is pure. And I was  
24 drinking for four years that water completely untreated,  
25 and it's pristine. It's not contaminated in Crownpoint.

1 (Applause.)

2 MR. FREY: Now I agree with the comments as  
3 well about supporting wholeheartedly the NRC in its  
4 standard that it will require the water to be restored to  
5 the level prior to the mining activities. So the  
6 environmental justice question is central to the Navajo  
7 Nation.

8 Ms. Bloedel asked a question that wasn't  
9 rhetorically, but it's easily answered. Is the NRC, after  
10 this experiment, the new experiment on the Navajo Nation  
11 is completed, is the NRC going to restore the water?

12 The water of the Westwater Canyon, which the  
13 presenters have said is the aquifer where this activity  
14 will take place, that water is pristine and it serves an  
15 area probably larger than the States of Rhode Island. I'm  
16 not exactly sure. But there's about a two million acre  
17 area that relies on the Westwater Canyon aquifer.

18 No, the NRC will not restore the water, and no,  
19 the BIA won't, and no, the EPA won't, and yes, the Navajo  
20 Nation's going to have to deal with this problem.

21 What is the NRC's record to date with respect  
22 to environmental justice? Well, we have one permitting  
23 decision that's been reached, and what it does, in my  
24 opinion, it ignores all of the past contamination. It  
25 says, We aren't going to look at the existing health

1 problems that people are now actually facing in the Church  
2 Rock area when we do this licensing decision and consider  
3 whether additional radiation exposure is going to harm  
4 them.

5 I think that kind of sweeping the past under  
6 the rug does not comply with the environmental justice  
7 responsibilities of the agency. There has been no  
8 consultation to my knowledge with the Navajo Nation,  
9 despite the executive orders, and despite the trust  
10 responsibility.

11 So the Navajo Nation will, I think, urge that  
12 the NRC examine all of the alternatives. One of the  
13 alternatives is not more coal, not more uranium, but some  
14 other kind of energy. Someone said that there is no such  
15 thing as a clean energy source.

16 Well, you know, I get sunburned and maybe  
17 that's the reason the sun isn't clean, but there's solar  
18 energy, there's wind energy, there's conservation, there's  
19 all of these other things, and the NRC should examine  
20 those.

21 (Applause.)

22 MR. FRYE: It should examine quite seriously in  
23 the context of the GEIS the no action alternative,  
24 especially for the Navajo Nation.

25 And, let's see, finally, the site-specific EIS

1 should be required in all cases because the conditions are  
2 site specific, the environmental justice issues are site  
3 specific, the geology and hydrology are site specific, and  
4 real people depend on this aquifer for their very  
5 existence. Thank you.

6 MR. RAKOVAN: Thank you, sir.

7 I'd just like to point out that it is after  
8 9:30 at this point. I just want to compliment everybody  
9 for sticking around this long. It's very impressive and  
10 it obviously shows how important this issue is to you.

11 We're going to keep on going and try to get  
12 through everybody. If people could please remember to be  
13 brief. I've still got a stack of speakers and I really do  
14 want to try to get to everybody. I'm not sure what  
15 happens at 10:00 though, so I'm hoping to be done by then.

16 Having said that, Leona Morgan? Leona Morgan,  
17 are you here?

18 (Pause.)

19 MR. RAKOVAN: Oh, I'm sorry, I didn't --  
20 there's movement throughout, I didn't see someone  
21 approaching.

22 MS. MORGAN: Good evening. I'd like to thank  
23 everyone who stayed and is listening to all of our  
24 comments. And I'd like to thank the presenters here this  
25 evening. [Speaking Navajo] Leona Morgan [speaking

1 Navajo].

2 Hello, my name is Leona Morgan. I am a  
3 resident of the Navajo Nation and New Mexico. I am a  
4 recent graduate of UNM, and I am also the lead organizer  
5 of the organization Eastern Navajo Dine Against Uranium  
6 Mining. And I am here to make comments on the generic EIS  
7 that has been proposed by the NRC.

8 First of all, I'd like to ask for an extension  
9 of the public commentary period. I believe that with a  
10 release date of July 24, and given the time up to  
11 September 4 is not sufficient time to inform all of  
12 Western United States that we have time to make comments  
13 about this supposed generic EIS. So please, I'd like to  
14 have that commentary period extended

15 Also, I'd like to speak to a comment made by, I  
16 believe, Von Till earlier today. There was a statement  
17 that was made about the already polluted sources of water.  
18 And I know that's not true because where I work in  
19 Crownpoint, New Mexico -- Crownpoint, New Mexico has some  
20 of the most pristine drinking water, and that's water that  
21 I drink, that's water that I know my family gives to their  
22 animals, and I know that's water that we use on our  
23 plants.

24 So for someone to say that the water is already  
25 polluted, that is just not true. I know there's people

1 that have been researching it and have done testing on  
2 test wells, and that their tests have concluded that the  
3 water level -- the uranium in the water is at a safe  
4 drinking level, which is less than one part per billion.  
5 So that is false information that the water is already --  
6 in that area anyways, and that's us, where I reside.

7 Another comment I would like to make about  
8 false information being given out by the organization,  
9 ENDAUM, and this was a comment made by Ben House, the  
10 president of the Allottees Association.

11 If anyone has any questions about any of the  
12 information distributed by ENDAUM, I will be happy to  
13 rectify any questions or concerns that you might have  
14 about misleading information, because that is also a false  
15 statement.

16 And I can direct you to a website, a SRICs  
17 website. They're an organization that we've been working  
18 with who has been researching the uranium mining in the  
19 area for many years, longer than I've even been alive, and  
20 their website is, [www.sric.org](http://www.sric.org).

21 And I just want to make a comment to the recent  
22 incidence of -- well, someone mentioned it, the recent  
23 anniversary of an incident at Church Rock, which was the  
24 uranium tailing spill that happened on July 16. And I  
25 believe this was an action that took place where many of

1 the residents in the area had no idea of the harms of the  
2 uranium mining.

3 And that is also the current situation of  
4 today. I am 26 years old, and I'm learning -- I'm just  
5 learning about all of this, and that's where I live, this  
6 is where I want to raise my family, and this is how the  
7 United States, NRC, is approaching us is to tell us that  
8 our water is already polluted and that we're going to come  
9 in and help these companies to get through this process  
10 much quickly -- much more quickly because we need the  
11 energy, I guess. Or maybe we need the resources for  
12 weapons manufacture. I'm not sure.

13 However, I'm coming to make a comments  
14 specifically on our land as Navajo people. We as a nation  
15 have had a ban on uranium since 2005, and I believe that  
16 this proposal to create a generic EIS that will help  
17 uranium mining to continue is a direct assault on our  
18 sovereignty as a Navajo Nation, as native peoples.

19 And this is a common theme that has been  
20 happening many, many, many years, and it's been happening  
21 all over in every indigenous culture, in every indigenous  
22 nation, that is affecting all of our cultures.

23 And, yes, I do believe that it has affected our  
24 cultures, not only at the time when there was the spill we  
25 were told not to eat the sheep. There's a lot of other

1 things that involve the use our animals, we use the whole  
2 animal.

3 And I understand back then they told some of  
4 the people you can't eat the intestines, or you can't do  
5 this and that. Well, that's also a direct assault on our  
6 way of life, which is believe is our first amendment right  
7 as American citizens is our right to practice our  
8 religion. And though the Navajo culture may not be  
9 considered a religion by the U.S. standards, that is how  
10 we practice our belief, our belief systems and how we  
11 live.

12 And so the United States, NRC, to help these  
13 companies to do uranium mining, especially proposed mining  
14 on a sacred site such a Mount Taylor, it is atrocious  
15 because this is not only contesting our sovereignty, this  
16 is affecting our culture and our way of life, and the  
17 future of our generations who will not be able to learn  
18 the traditions the way they were meant to be taught.  
19 The -- Mount Taylor is a sacred -- one of four cardinal  
20 directional mountains, one of six sacred mountains of the  
21 Navajo people.

22 And I would like to further comment that  
23 there's not been one single mention of tribal consultation  
24 that I can think, that I can attest to right now, and so  
25 my question is to the NRC, and my comment is to work with



1 all of the tribes. There's Navajo and there's  
2 many other tribes, not only in New Mexico, but in all of  
3 the Western United States. And to do a generic EIS is to  
4 undermine all of the site specific situations that each  
5 tribe and each environmental area will -- how they will be  
6 affected.

7 And I'm sorry, but earlier someone mentioned  
8 emotion, and, of course, this is a very emotional topic  
9 because you're talking about my people, you're talking  
10 about my future.

11 And, yes, we need jobs, there is a lack of  
12 economic development on my reservation, and that doesn't  
13 mean that we need to run to uranium mining to -- just to  
14 come to -- try to come to a resolution to the economic  
15 development problem. The problem with economic  
16 development is an internal problem that we have a nation.

17 However, that does not mean that uranium mining  
18 is the answer. There's solar power, there's wind power,  
19 there are other sources of renewable energy that we need  
20 to look toward before trying to consider polluting and  
21 destroying more of our pristine waters.

22 Not only the aquifers and the waters will be  
23 affected, but the entire -- everything that drinks the  
24 water. That's all life. That's all of our plants, that's  
25 all of our animals, and for the future.

1 I don't know how much of you guys have seen  
2 the -- if anyone watched the "Nova" special on Tuesday  
3 night about the -- was it the epigynums. Well, not only  
4 are things affecting our genetics by what we eat, but  
5 there's environmental impacts that have not been studied.  
6 There are health studies that have not been completed.  
7 There are people who have died because of cancers caused  
8 from radiation that have been studied.

9 And I'm asking the NRC to consider all of these  
10 effects before thinking about even considering to create a  
11 generic EIS statement. There are too many issues to look  
12 at to try to create a generic EIS. That doesn't make  
13 sense, and I think the purpose for EIS was to study the  
14 environments, and there is nothing generic about our  
15 environment. [Speaking Navajo].

16 MR. RAKOVAN: Thank you, Ms. Morgan.

17 Hildegarde Adams?

18 MS. ADAMS: It is getting late. I'm going to  
19 keep my comments very brief. I'm totally opposed to any  
20 more uranium mining in New Mexico.

21 I think New Mexico has already made plenty of  
22 sacrifices on behalf of the nuclear industry, and I'd like  
23 to see no more. And I also think native people in our  
24 area have made enough sacrifices. Thank you.

25 MR. RAKOVAN: Thank you.

1 Shrayas Jatkar?

2 MR. JATKAR: My last name is pronounced with a  
3 J, to confuse you some more.

4 My name is Shrayas Jatkar. I'm here as an  
5 outreach resident of New Mexico, and I'd like to start off  
6 by first saying thanks, as many other people have, but not  
7 thanks to the NRC. Thanks to all the people who have been  
8 in this struggle for many, many decades and who have  
9 forced agencies like the NRC to be legally obligated to  
10 hold public meetings like this.

11 Oh, come on, you can clap.

12 (Applause.)

13 MR. JATKAR: I want to keep my comments to  
14 things that have not already been said. First I want to  
15 talk about the cumulative impacts that need to be taken  
16 into account. In the area where the uranium mining is  
17 being proposed, there's already two existing coal fired  
18 power plants, possibly a third.

19 We're also talking about pit production that  
20 triggers nuclear weapons being more in production at Los  
21 Alamos with its constantly expanding its operating permit  
22 to expand, include more and more waste.

23 And the uranium enrichment facility is opening  
24 up in Eunice, and that's not to mention all the other  
25 possible nuclear facilities, reprocessing plants somewhere

1 else in Southeastern New Mexico, and somewhere -- nuclear  
2 production here at Sandia in Albuquerque.

3 And so the cumulative impacts needs to be taken  
4 into account when we talk about -- instead of looking at  
5 all these in isolated incidences. And when we talk about  
6 cumulative impacts, or impacts in general, I think people  
7 may not -- nobody has spoken to the fact that doses --  
8 when we talk about radiation doses, those are considered  
9 only for what they call a reference man.

10 And a reference man is defined as being between  
11 20 to 30 years of age, weighing 154 pounds, is five feet  
12 seven inches and lives in a climate with an average of  
13 from 10 to 20 centigrade. He is a Caucasian and is a  
14 Western European or North American in habitat and custom.  
15 These are not my words. These are the words of the  
16 International Commission on Radiological Protection.

17 That means to say that the people of New Mexico  
18 are not mostly being taken into account when we talk about  
19 the acceptable doses of radiation. We need to be setting  
20 standards for the most vulnerable in our society, women  
21 and children who are much more affected by smaller doses  
22 of radiation.

23 And I also want to make another case about  
24 environmental justice. Hopefully environmental justice is  
25 considered and it's also taken into account. And I think

1 if it's taken into account, we'll find that there is no  
2 excuse for more uranium mining in this state.

3 And I think I want to also focus on the  
4 benefits of clean energy, or real renewable energy,  
5 because most folks have been mentioning it, but I want to  
6 give some numbers to folks who may be thinking that that's  
7 just fluff language.

8 There's a report by the Union of Concerned  
9 Scientists, I've got many copies with me, if you want one  
10 let me know. If New Mexico had a renewable electricity  
11 standard of 20 percent by 2020, which is really nothing.  
12 You know, people have said that New Mexico has the second  
13 largest, you know, uranium deposits, well, we've also  
14 gotten the second largest solar potential in the United  
15 States.

16 And if just 20 percent by 2020 of renewable  
17 electricity was supplied to people, there would be 2,860  
18 new jobs, \$2.21 billion in new capital investment, \$100  
19 million in income to farmers, ranchers, and other rural  
20 landowners, \$71 million in new local tax revenue.

21 And in terms of consumer savings, that's  
22 everybody, \$190 million in lower electricity and natural  
23 gas bills by 2020 growing to \$390 million by 2030. And  
24 the impact on global warming would be a reduction equal to  
25 taking 36.4 million cars off the road.

1           And that's only 20 percent renewable energy.  
2       We've got a lot more potential here in New Mexico.

3           The other thing I want to talk about is water.  
4       People are talking about these things again in isolation,  
5       but folks have probably heard about Desert Rock, a  
6       proposed coal power plant. Desert Rock would use four and  
7       a half million gallons of water per day. Per day.

8           And so I think when we talk about the impacts  
9       on our water resources and other natural resources, we  
10      need to take all fo these things into account, because the  
11      nuclear industry is a huge consumer of water from the  
12      mining and milling and to the production.

13          And with that I'd like to close by offering a  
14      new initiative that I think we should be launching, which  
15      I would like to call the NMPTP, that the New Mexico Potty  
16      Training Program. And I think that needs to be held for  
17      the companies who have already polluted our water, our  
18      air.

19          And, you know, I mean, I know that folks are  
20      probably individually potty trained, but I think we need  
21      to be doing that at an institutional level. Okay. We  
22      should be cleaning up the waste before generating more.  
23      And if anybody wants to talk to me about the NMPTP, I'll  
24      be in the back.

25          MR. RAKOVAN: Thank you for your comments.

1 Laura Watchempino. Laura Watchempino?

2 VOICE: She's coming.

3 MR. RAKOVAN: Oh. Okay.

4 MS. WATCHEMPINO: [Speaking Navajo] My name is  
5 Laura Watchempino, and I work as a water quality  
6 specialist with the Pueblo of Acoma. I wanted to remind  
7 everybody that may not remember what the purpose of the  
8 National Environmental Policy Act is. I think sometimes  
9 we lose sight of this very important goal, and that is to  
10 restore and maintain the environmental quality to the  
11 overall welfare and development of man. That's everybody.

12 The -- NEPA declares that it is the continuing  
13 policy of the federal government, in cooperation with  
14 state and local governments, and other concerned public  
15 and private organizations to use all means and measures,  
16 including financial and technical assistance, to foster  
17 and promote the general welfare, the conditions under  
18 which man and nature can exist in productive harmony and  
19 fulfill the social, economic and other requirements of  
20 present and future generations of Americans.

21 It is the responsibility of the federal  
22 government to use all practical means consistent with  
23 other essential considerations of nation policy, to  
24 fulfill the responsibilities of each generation as trustee  
25 of the environment for succeeding generations.

1           And this is something that we have to look at  
2           in a bigger context, perhaps even a whole millennium that  
3           native peoples have survived in their homelands here in  
4           the Southwest.

5           The area that I wanted to talk about is the  
6           area surrounding Mount Taylor, a sacred site. And as you  
7           can see, it's a very prominent geologic, historic,  
8           cultural feature in the Southwest. Many watersheds  
9           emanate from this mountain. This is our life blood here  
10          in the Southwest, both surface and ground water.

11          And some of the areas that are being looked at  
12          to the west of the mountain will eventually flow into the  
13          Rio San Jose, the life blood of the Pueblo of Acoma.  
14          We're directly downstream. We've lived through one --  
15          several decades of mining in the 1960s through the 1980s.

16          We've suffered the health impacts, we've  
17          suffered the effects on the river, wildlife, plants,  
18          vegetation, water quality, have all suffered and we're  
19          continuing to see these effects into the new millennium.

20          This watershed surrounding Mount Taylor is a  
21          principal watershed, the ground water and the surface  
22          water, for all of Northwestern New Mexico. This wasn't  
23          known at the time, or if it was known it was ignored  
24          during the original mining boom beginning in the 1960s  
25          through the 1980s.



1           This is something we want to protect because  
2 we're thinking of future generations. The generations who  
3 will come after us into the next millennium. This is a  
4 big responsibility, Nuclear Regulatory Commission, as a  
5 trustee for future generations.

6           The impacts that I'm talking about are  
7 environmental justice impacts because if you're looking at  
8 a generic impact statement for this area again, yes, we  
9 have been impacted. Our water is one of the watersheds  
10 that has been impacted, and if you restore it back to the  
11 way it was, we've already been told we don't know, it's  
12 already contaminated.

13           We have a superfund site at the end of the San  
14 Mateo watershed that you know you're looking at  
15 remediating by expanding it because you have not been able  
16 to contain the contaminant plume. We're downstream. And  
17 probably the only reason that we haven't really, really  
18 felt the true impact is because the river is dry upstream  
19 of Acoma.

20           All this ground water dewatering, or mine  
21 dewatering, has sucked the river dry above Acoma. So  
22 there are many, many impacts, in particular the ground  
23 water so connected to our culture and our way of life at  
24 Acoma that you need to address both culture and ground  
25 water. This is something that a generic environmental

1 impact statement cannot adequately address in our  
2 responsibility as trustee for future generations.

3 So I'll leave you with a copy of a statement  
4 from Acoma that I believe you already have in your record,  
5 and a companion resolution that was adopted by the All  
6 Indian Pueblo Council earlier this year during the month  
7 of June.

8 There was one last year during the month of  
9 December, but this new one really highlights the impacts  
10 to regional ground water, the La Jara and San Mateo Creek  
11 drainage areas of the mountain to the west of Mount Taylor  
12 and the cultural properties within this area that are --  
13 will not only result from any future mining or milling,  
14 but that are resulting right now from the exploration  
15 that's going on.

16 People don't realize because we look at --  
17 we've been told this is a minimal impact activity,  
18 exploration. But these exploration drill holes are going  
19 2,000 feet deep into the base of Mount Taylor, or the  
20 surrounding area of Mount Taylor. This is a desecration.  
21 The is a desecration to all the cultures that depend on  
22 this sacred mountain, this feature that will be here long  
23 after any of us are ever here.

24 And that's something you need to look at. It's  
25 probably impacting several aquifers besides the Westwater

1 one that was mentioned earlier. And this is allowing  
2 pathways for water to migrate both upward and downward.  
3 Cleaner aquifers may be affected by polluted water. And  
4 the exploration itself needs to be addressed.

5 So that was mentioned by the All Indian Pueblo  
6 Council, as well as a request, or a demand, for  
7 consultation with the tribal communities that you're  
8 impacting so that we can state our request that this whole  
9 area be declared unsuitable for mining activities due to  
10 its widespread cultural significance as a sacred site by  
11 all the tribes here in the Southwest, including the 19  
12 Pueblos, the Hopi, the Navajo, the Hicoria Apache. And  
13 I'm sure there's other tribes that I haven't mentioned  
14 because this is such a sacred site.

15 And I believe that all the wisdom of the native  
16 peoples that have lived here for many millennia is the  
17 knowledge of the watershed and the ground water resource  
18 is contained within that, as well as the importance of all  
19 life, not just human life, but the plants, the animals,  
20 the air we breathe, and other elements.

21 So thank you for this opportunity.

22 MR. RAKOVAN: Thank you.

23 We've got a few left and so let's try to get  
24 through these quickly if possible.

25 Eliza Pintor?

1 MS. PINTOR: My name is Eliza Pintor, and to  
2 ensure that all of our people who are directly affected by  
3 this get a chance to talk, I'm going to yield my time to  
4 Esther.

5 MS. YAZZIE-LEWIS: Good evening. You all still  
6 awake? I'm ready to go to bed. It's past my bedtime.

7 (Laughter.)

8 MS. YAZZIE-LEWIS: Ya at eeh. I didn't like  
9 that answer. Telling me to go home? I'm here to express  
10 myself and my life being a part of the Navajo Nation. I'm  
11 Navajo. [Speaking Navajo.]

12 I've worked with Navajo people that have been  
13 affected by uranium, that are out there still trying to  
14 struggle to get some kind of payback for the life that  
15 they have suffered for their families. They're fathers,  
16 they're brothers, and they're uncles that have mined in  
17 these mines out in the Four Corners area, in Shiprock,  
18 Utah, Colorado.

19 You know, this evening, I was watching people  
20 getting water from those orange barrels back there. How  
21 many of you got water there because you felt like you  
22 needed a drink? And when you got that water, you felt  
23 safe to get that drink. Right?

24 (Pause.)

25 MS. YAZZIE-LEWIS: Right? You don't want to go

1 over there and get that water if there's something in it.  
2 Right? Well, I would like to know that if I go to a well  
3 on the reservation -- where all the Navajo people go to  
4 haul their water a distance -- some of them have to go  
5 into Gallup just because their water's polluted. Some of  
6 them have to go a long ways.

7 I know. My mother and my father -- they all  
8 hauled water. Even my sister today hauls water because of  
9 her livestock, just so that she can have water in her  
10 house. We don't even have running water where we can take  
11 a shower and wash our face every day; we have to have a  
12 wash basin to pour a little bit of water in there. No --  
13 who has lived like that? I'd like to know who lives like  
14 that in this group right now.

15 (Pause.)

16 MS. YAZZIE-LEWIS: We all get to go to the  
17 bathroom, wash our hands, go to the sink and drink our  
18 water, and we feel safe. Right? We live in that comfort  
19 zone of security. Right? Some of our people don't have  
20 that privilege. We don't even have good roads. When the  
21 rain comes, we have to struggle in the mud.

22 You know, you talk about your GEIS --  
23 acronyms -- BIA and others. And so I see that, you know,  
24 we have people here that say, We're for uranium. And it's  
25 really hard for me to say that I'm for uranium when I see

1 my own brother losing his teeth because he was working in  
2 a mill. It hurts.

3           What are we going to do? In Navajo life,  
4 elders have said, Don't ever mess with anything if you  
5 don't know how to make it right again. How are we going  
6 to make it right once we disturb something that is  
7 dangerous, that's hazardous, that is not to be fiddled  
8 around with? I don't think any of us here would want to  
9 be a part of that. I don't want to be a part of it.

10           And I speak like this because it affects my  
11 people. We've got dollar bills and human people over  
12 here. And I've heard testimonies of Navajo people that  
13 your life is not worth a dollar. Your life? Once you're  
14 gone, you're gone. Money won't buy it back.

15           Have I heard anything else somewhere? Has  
16 somebody given me something different to say that money  
17 will buy a human life back? We hear of cloning, but I  
18 don't think -- even that Navajo people feel is a tabu.  
19 There's something wrong in that. It's not right. It's  
20 not natural.

21           And so we forget all these things that bring us  
22 here. And we think that, having to, you know, herd sheep  
23 and having to be out there doing for ourselves. There was  
24 a time in my life when I grew up -- and money wasn't even  
25 a part of my life. I didn't know that money was a value

1 until I went to school, until I graduated from high school  
2 and realized that I had to work for money in order to  
3 sustain my own life.

4 But I grew up in a time when my father had a  
5 farm. My father had livestock. And we could go onto the  
6 farm and pick our own carrots and pick our own vegetables,  
7 and nobody said, Give me some money. And we traded. And  
8 we were all happy.

9 We've come to a time in our life when we now  
10 feel like the more money we have, we feel that we can look  
11 down on others. I live with it every day, and I  
12 understand it. And so my feeling is I don't believe in  
13 uranium, because uranium has done a lot of harm to my  
14 immediate family. At the time we -- my brother used to  
15 feel it was safe.

16 I was a little girl when we used to go up to  
17 Mexican Hat thinking that that was the thing, because it  
18 was money. Yeah, my brother worked, gave money so that we  
19 could have school clothes at this time of the year to go  
20 back to school. But you know what? Today, like I said,  
21 he's suffering.

22 But, you know, there are a lot of people out  
23 there that are trying to get funding, and there's so much  
24 red tape that they can't get any money for themselves.  
25 And they are dying off. That's the consequence of it.

1 Right here at the surface is money now, but [speaking  
2 Navajo]. In Navajo, that's what they say: In the  
3 future -- it is unknown, the consequences of what things  
4 will bring, because in our lifetime -- when I grew up, my  
5 elders used to say [speaking Navajo].

6 The people we come from [speaking Navajo] they  
7 prayed for us so that we would have a life. Now from here  
8 [speaking Navajo] into the future, the generations to come  
9 [speaking Navajo] we're the ones [speaking Navajo].  
10 That's what they say. We will think for them. We will  
11 make the decisions on their behalf so that they can have a  
12 life where we are now.

13 The young people will stand here to say this is  
14 the way it was. This is how it was. [Speaking Navajo].

15 I wish you were all Navajos so you could  
16 understand just what I said, because I sure feel good  
17 about it.

18 (Applause.)

19 MS. YAZZIE-LEWIS: I appreciate you listening  
20 to me. I think you know what I mean. I think here --  
21 these people here that have come -- I say, These people.  
22 They work for the government. They work for NRI. And so,  
23 you know, they're companies.

24 There's so much competition out there. There's  
25 so much out there that people want. It's a time of



1 grabbing opportunities, and stuff like that. And so I  
2 think in our future and in our time -- I feel like if I  
3 don't come up here and say something, what will the future  
4 be like?

5 And, you know, the other night -- and I'm going  
6 to end with this. The other night, we're all here -- we  
7 all carry around bottles of water. Right? We buy them in  
8 stores. Am I right? How many of you carry water and you  
9 feel like that's what you need to sustain your life for  
10 that day or that moment?

11 (Pause.)

12 MS. YAZZIE-LEWIS: Nobody? I'd like to see all  
13 the hands go up, because I know you all drink water -- we  
14 have to have water -- not unless you're drinking soda and  
15 other things that aren't water.

16 But, you know, I saw on there that everybody  
17 was buying these bottles of water and feeling like this is  
18 their security. And we see all the labels of where the  
19 water is made pure, clean, but then we found out it was  
20 tap water. That's what I'm talking about.

21 Have a nice evening. I hope you take to heart  
22 what I said. Thank you.

23 (Applause.)

24 MR. RAKOVAN: Thank you very much for your  
25 comments.

1 I've got a few speakers left.

2 Annie Sorrell.

3 MS. SORRELL: Good evening. I know it's late,  
4 but I'm glad you're all still here to listen to our  
5 comments. I thought I'd have to turn 67 before my time  
6 comes.

7 I'm 66 years old, and I am an allottee from  
8 Crownpoint. And I always say that I know everybody's  
9 bringing their own ways of living, everything. I live  
10 about maybe a mile-and-a-half from a mine, and I grew up  
11 and did some herding of sheep when it was going on -- all  
12 the dust, everything. And when we'd come to a puddle of  
13 water, what did we do? Just blow and push the bugs away  
14 and drink it.

15 And the same thing -- we had a lot of cactus  
16 around where my uncle Wilson Sittee's mine was. And we'd  
17 just dust off all our cactus and just eat it for lunch.  
18 Now where in the world -- it's just nothing but cancer  
19 killing people. People died from uranium. People died  
20 from diarrhea. I know. I've lost about -- three brothers  
21 with that.

22 There's different contaminants that came around  
23 when we were young. My mother had 15 children, and she  
24 lost five because of drinking, you know, from where water  
25 wasn't purified. But somehow, we just don't think

1 everything is cancer. Not everything. And I always say  
2 that the Lord has provided a land with richness. Why  
3 can't we use it?

4 Just like pertaining to our government -- you  
5 know, back in the 18 -- 1989, people had pushed good  
6 leaders out of their offices. And I know within the four  
7 years -- I don't know how many chairmans or presidents we  
8 had. Today, they can't plan what our future's going to be  
9 like especially for our young people. We see how many  
10 thousands of graduates every year? Who talks about their  
11 employment? Who talks about their scholarship being  
12 available?

13 You know, I always think that I was one of the  
14 lucky parents. During the '70s and '80s, we had a strong,  
15 strong president. Chairman we call it, not president.  
16 Well, let me tell you. They scratched services. They  
17 scratched service for scholarships. They just happened to  
18 be available. As long as the child was making 2.5, they  
19 were eligible to get scholarship.

20 And I sent all my children to college, and they  
21 had the benefit of getting their degree. They have their  
22 jobs today, and they have their families. And let me tell  
23 you I was the one that was put into prison. I spent five  
24 years in prison for what? I didn't steal money. I didn't  
25 sleep with anybody else. I just protected my family, and

1 this is what was done to me.

2 What kind of leaders do we have that can't plan  
3 but throw people in jail for what they want for their  
4 people? I don't see any other president has a plan.  
5 Today, we're down to zero, with a zero fund. They're not  
6 doing anything but buy a piece of range for so many  
7 thousands of dollars. That is ridiculous. That's why  
8 we're searching for money. Eastern Navajo can help by  
9 replenishing a revenue back to the tribe and help them  
10 out. That's what I'm for. I am for uranium mine.

11 (Applause.)

12 MR. RAKOVAN: Thank you.

13 Anna Frazier.

14 MS. FRAZIER: [Speaking Navajo.] Good evening.  
15 My name is Anna Marie Frazier, and I'm from Delcon,  
16 Arizona, from the Navajo reservation, southwest part of  
17 the Navajo Nation. And I work with Dine Citizens Against  
18 Ruining our Environment.

19 And I only heard about this generic  
20 environmental impact statement just this morning through  
21 the internet, and it just so happened that I was coming to  
22 Albuquerque from Delcon. And so I'm here this evening. I  
23 did not prepare any speech or anything like that, so I'm  
24 going to be speaking from my heart. It could be in anger  
25 or it could be whatever.

1           So because -- I have worked with people on the  
2 Navajo Nation for the past close to 20 -- over 20 years on  
3 environmental issues that have affected their lives, their  
4 land, their way of life and everything -- you know, just  
5 affected their health in every way you -- every sickness  
6 or whatever that came around has affected them. And the  
7 main thing was mostly cancer.

8           And I've worked with -- on the Radiation  
9 Exposure Compensation Act back in -- for about maybe six  
10 years. And we were very involved in amending that bill.

11           And so -- and we also worked with the Blanding  
12 White Mesa Uranium Waste Facility, where -- the people  
13 there in White Mesa, Utes and the Navajo people down there  
14 in the Aneth, Utah, area did not want any more uranium  
15 waste coming to the area there in White Mesa, near  
16 Blanding, so -- because they were afraid that it might  
17 contaminate their water, their drinking water, because  
18 they lived downgrade from the facility there, so -- and  
19 then also, with the Radiation Exposure Compensation Act

20           To work with these kinds of people that have  
21 been affected by uranium mining, contamination from the  
22 radiation from uranium mining -- it's very, very  
23 devastating to work with these people, because they are  
24 hurting and because many have lost their loved ones. And  
25 today or back when we worked with them about ten years

1 ago, I mean they were carrying oxygen tanks around, and  
2 all these things.

3 I mean it just really hurts to work with these  
4 kinds of people. And they are my people, the Navajo  
5 people. And when we worked on this issue on the Radiation  
6 Exposure Compensation Act, we did not only work with the  
7 Navajo people. We worked with people from four states --  
8 that was Colorado, New Mexico, Arizona, and Wyoming, and  
9 people also from the state of Oregon.

10 And we all banded together because we were all  
11 affected by radiation contamination. And we all were able  
12 to come together and to amend the RECA to increase the  
13 compensation for our people that were only getting -- I  
14 think it was 100,000. So we upped it to 150,000, and we  
15 also included the downwinders from our Navajo area, the  
16 Navajo County, Apache County and all those other counties  
17 there.

18 And the devastation of -- the encroachment of  
19 uranium mining has really left our people just really  
20 devastated -- their way of life, their land and their  
21 health.

22 And I guess what I want to say is that to open  
23 this uranium mining back up again -- although you might  
24 say that it's safe with the in-situ mining and whatnot,  
25 our people, the Navajo people, say that, How do you know

1 what it's like down there underground. You may be  
2 scientists and whatnot, but you just really don't know  
3 whether it's really truly not going to contaminate the  
4 water.

5           These are some of the elders that talk this way  
6 to us. So the same way with the Desert Rock Power Plant  
7 that's being built -- you know, it's the same thing, you  
8 know: People wanting to get coal from underground and to  
9 bring it to surface. And it's contaminating the whole  
10 valley of Four Corners.

11           And so what I want to say is that we know that  
12 the groundwater is going to be contaminated and it's going  
13 to be permanently contaminated if it does ever be mined,  
14 because you don't know, you know, how it's really going to  
15 work. I don't know if it ever has been proven.

16           I know that there was one mine that was down in  
17 Texas that I heard about -- in-situ mining -- and then  
18 also the site-specific that other people were talking  
19 about here. Yes, there is a lot of difference between,  
20 you know -- off the reservation, you know, even out here  
21 in this area. Throughout the whole United States, there's  
22 a lot of Native Americans who live throughout this whole  
23 country, and there's a lot of artifacts that have been  
24 left behind in those areas. So that's where the  
25 environmental justice issue should come in -- the law --

1 to protect those areas.

2 And so that's where the difference is with the  
3 site-specific, instead of developing this EIS as a generic  
4 policy -- I don't think that's really right. And then the  
5 community cumulative impact to the community people there?  
6 There's history that tells us that this uranium is  
7 dangerous, a history of it. Those studies ought to be  
8 done, and the should be included in the EIS, as well.

9 And then the cleanup. We have experience not  
10 only with the uranium, but also with the oil companies.  
11 Oil companies come in. Uranium companies came in -- Kerr-  
12 McGee and all those companies -- and they left. And they  
13 left all these holes in the ground. And they have  
14 devastated the land on the Navajo reservation -- the oil  
15 companies. And they left and left the people in the area  
16 to hold the bag and try to clean it up, but there's no  
17 money.

18 And that ought to be something that NRC should  
19 put that money in there just like we did with -- when  
20 the -- when we amended the RECA, the Radiation Exposure  
21 Compensation Act. We had to ask for billions of dollars  
22 to study the uranium on the reservation and how it  
23 affected the people.

24 MR. RAKOVAN: Please try to wrap it up.

25 MS. FRAZIER: Okay.



1           And then I agree with Leona about extending the  
2 public hearing for this, because I came from Arizona and I  
3 haven't even -- never heard about -- that there was going  
4 to be public comments regarding this GEIS. So that's it.  
5 Thank you very much.

6           (Applause.)

7           MR. RAKOVAN: Amadeo Martinez.

8           MR. MARTINEZ: Hello. My name is Amadeo  
9 Martinez; I'm a future heir of the Juan Tafoya Land Grant.  
10 I support the GEIS because I feel that it will allow  
11 permitting of new facilities while watching over  
12 environmental impact for the future generations like  
13 myself. I feel that everyone is looking to the past and  
14 we need to protect our future.

15           And I would like to add that all these groups  
16 that are completing surveys on lands that were polluted  
17 have never come to my community. In my community, we  
18 raise crops and cattle, and none of this is polluted. And  
19 we are a uranium area. I live in between both a mill and  
20 a mine, and it's still safe today because our people have  
21 protected it. That's all I have to say. Thanks.

22           (Applause.)

23           MR. RAKOVAN: I had two people sign up as  
24 maybes: James Thief and Hank Bruce. Since these are the  
25 last two cards I had, I wanted to extend an invitation to

1 them to take the stage.

2 Hank Bruce and James Thief?

3 (No response.)

4 MR. GREENSLADE: I'm Jim Greenslade. Is that  
5 who you have?

6 MR. RAKOVAN: I'm sorry?

7 MR. GREENSLADE: I say I'm Jim Greenslade. Is  
8 that who you have?

9 MR. RAKOVAN: Yes -- well, yes. I've got --  
10 James Thief and Hank Bruce are the two cards that I have.  
11 I'm sorry.

12 MR. GREENSLADE: Well, do you want me, or not?

13 MR. RAKOVAN: Do you wish to speak, or not?

14 These are the last two cards that I have.

15 (Pause.)

16 MR. RAKOVAN: If you could, give us your name,  
17 sir.

18 MR. GREENSLADE: I'm Jim Greenslade. You know,  
19 it's kind of a wonder, when you're the relatively last  
20 speaker, how the things that you thought you were going to  
21 say get changed, and some of them don't. I was a uranium  
22 miner. I worked in Moab, Utah, and Grants for 31 years  
23 total. And so I know a lot of the problems.

24 (Applause.)

25 MR. GREENSLADE: And I know a lot of the

1 problems that the NRC is getting tonight. And I guess, to  
2 sum it up, in my point -- it may be wrong, and it may be  
3 right, but the way I see it, right or wrong -- we need to  
4 have the NRC as quickly as they can -- and if they need  
5 more people, let's get it done, both for the people and  
6 the companies that may be able to do the mining in a safe  
7 and good way.

8           You know, we've been talking about energy since  
9 1973. We've been mining uranium in the first big deposit  
10 by a fellow named Charlie Steen in Moab, Utah. And that  
11 was in 1954 when I went there. The same problems are  
12 here. And with all of the technology and all the people  
13 we have, can't we get some of these things done for the  
14 Native Americans? And I'm a Welshman, so I guess I'm a  
15 minority.

16           But it seems like, with all the technology that  
17 we supposedly have, we can get these things done. Is it  
18 the NRC? I don't know. Is it the operators? I don't  
19 know. Is it the Native Americans? I don't know. But  
20 they've all got problems. So -- and the way I look at it,  
21 we haven't solved a thing on energy for the United States.  
22 It gets worse every day.

23           And the United States was blessed with cheap  
24 energy. You know, we talk about -- one man mentioned wind  
25 energy -- solar energy. Well, it just seems, you know,

1 that PNM has got an energy plant -- wind. And it costs me  
2 if I went in it two cents more a kilowatt hour than you  
3 get from a coal-fired plant. And, you know, the coal-  
4 fired plants, uranium plants and others pay severance tax  
5 into the severance tax fund, which helps all the schools  
6 in New Mexico.

7 And I asked the man that gave a talk on the --  
8 I think they call it Blue Sky. And I said, You know,  
9 these companies pay those severance taxes; I wonder what  
10 the severance tax is on wind; you're stealing my wind.  
11 And he didn't know what it was.

12 So I think we've got a lot of problems. And we  
13 talked about water, and it's a problem. I keep asking the  
14 water people here, Why are we dumping water from the Chama  
15 River Project to us in the river, when it's going to get  
16 dirty; and we could put a pipeline and generate power.  
17 Well, they say there's problems building a pipeline.

18 And I'll be through in a minute.

19 (Laughter.)

20 MR. GREENSLADE: And I think we all have to get  
21 together and solve these problems. I think this is a  
22 major, major problem. And if the NRC needs more people,  
23 tell us, and we'll talk to our congress people. But, you  
24 know, the congress house building had higher radon  
25 readings than the mines, because it was made out of

1 granite.

2           And I remember a water report of Steve  
3 Reynolds, whom you all know from -- the old state  
4 engineer. And he knew more about water than a lot of us.  
5 He gave a report on every domestic water supply at that  
6 time in, oh, the 1950s or so. And Clovis, New Mexico, had  
7 the highest uranium content in their water.

8           And all I can say is you see chemicals in this  
9 in-situ leach. My understanding -- and, now, I've been  
10 out of the mining and retired for 20 years -- is that  
11 they're using oxygen and mostly water in the chemicals.  
12 I'm not sure. Carbon dioxide? We got it all the time.  
13 But those are problems that need to be addressed.

14           And I think the NRC ought to thank everyone  
15 that's here tonight for staying this late, and I think we  
16 all learned a little bit. Thank you.

17           (Applause.)

18           MR. CAMPBELL: I want to reiterate that. I  
19 really appreciate everybody who has hung in here and  
20 stayed through. I especially appreciate those that,  
21 because of the luck of the draw at the last, are the last  
22 few words to speak.

23           I do want to remind people that if you've  
24 provided your address to us and your e-mail address to us,  
25 we will be sending you the transcript and the slides.

1 Is that correct, Carol?

2 MS. WALLS: That's correct.

3 MR. CAMPBELL: Is that going to be through the  
4 normal mail or through the e-mail, or both?

5 MS. WALLS: They have an option.

6 If you signed up for the e-mail, it will come  
7 to you --

8 MR. CAMPBELL: Carol, use a mic.

9 (General laughter.)

10 MR. CAMPBELL: Let me introduce Carol Walls.  
11 Carol is our licensing assistant. And Carol has done a  
12 tremendous job in setting up these meetings, both here and  
13 in Casper. And I think she deserves a hand.

14 (Applause.)

15 MS. WALLS: Good evening. I'm Carol Walls.  
16 And if you signed the blue card, it will come to you via  
17 regular mail. If you signed the form where I asked for  
18 your name and your e-mail, you'll get it electronically.  
19 And if you signed both, you'll probably get duplicate  
20 copies. Okay? Good night.

21 MR. CAMPBELL: Again, I want to thank everybody  
22 for coming. I thank you for your input. This has been a  
23 very good experience for all of us, and we're going to  
24 take your comments to heart and incorporate them in our  
25 process. Again, thank you for participating in this

1 meeting tonight. Have a good evening, and thank you for  
2 staying. Good night.

3 (Whereupon, at 10:40 p.m., this meeting  
4 concluded.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25