

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Potential Changes to the U.S. Nuclear
Regulatory Commission's Radiation Protection
Regulations and Guidance

Docket Number: (n/a)

Location: Houston, Texas

Date: Tuesday, November 9, 2010

Work Order No.: NRC-534

Pages 1-151

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION
+ + + + +
PUBLIC MEETING ON THE
POTENTIAL CHANGES TO THE
U.S. NUCLEAR REGULATORY COMMISSION'S
RADIATION PROTECTION REGULATIONS AND GUIDANCE

+ + + + +
Tuesday, November 9, 2010

+ + + + +
Salons A, B, and C
Marriott Hotel
255 North Sam Houston
Houston, Texas

+ + + + +
8:30 a.m.

BEFORE: DAN HODGKINS, Moderator

PRESENT:

- Donald Cool
- Gayle Staton
- Tony Yunker
- Susanne Savely
- Mark Ledoux
- Laurie McGowen
- William Johnston

NEAL R. GROSS
COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26

PRESENT (CONT.)

Toby Head

Ellen Anderson

Doris Bryan

Jean Staton

Wei-Hsung Wang

Ann Troxler

Steven Campbell

Alice Rogers

Eric Rohren

Leonard Earls

Don Sides

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

(8:30 a.m.)

1
2
3 MR. HODGKINS: Ready to rock and roll this
4 morning? Yes. Good morning. Again, my name is Dan
5 Hodgkins. I'll be your facilitator for today.

6 A couple of housekeeping things. You have
7 evaluations on your tables. Please take some time
8 before you leave to fill it out, as far as we've
9 gotten some good feedback about the sessions, should
10 we continue them, how could we do it better, something
11 that we all want to know and get your feedback on. So
12 please fill out those evaluations. We want to be data
13 driven, use the science of evaluation as a way to make
14 improvements.

15 How I'm doing? Pretty good? Okay. So
16 today we're going to continue where we left off
17 yesterday, and I think I'll just turn it right --
18 well, first of all, any questions, comments, any
19 lingering thoughts from yesterday? You know, oh, I
20 wish I said something, you know, I wish someone didn't
21 say this. Any lingering thoughts as far as panelists,
22 anything that you want to, you know, jump into right
23 away as far as comments from yesterday that you want
24 to take back, you want to add to. Anybody?

25 (No response.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HODGKINS: And how about from the
2 audience, lingering questions, problems, concerns,
3 amplifications you want to add?

4 (No response.)

5 MR. HODGKINS: So are we ready to move on?
6 Well, a little nodding. Try it. Yes.

7 (No response.)

8 MR. HODGKINS: You're not going to do it,
9 are you?

10 All right. Don, it's yours.

11 DR. COOL: Okay. And good morning. Glad
12 that you have all made it back. Yesterday we started
13 talking about the underlying science and how doses
14 were calculated and the terms. Then we spent a little
15 bit of time on the non-controversial subject of what
16 the dose limits might be, and then we finished off
17 yesterday starting to talk about some of the other
18 bits of dose limit information with a discussion on
19 the dose limits of the embryo fetus of a declared
20 pregnant woman.

21 This morning first thing, and I don't know
22 that this is going to take a lot of time, but there is
23 one area in the public exposure realm for which some
24 questions have been raised with. We actually hadn't
25 started off with this question on our list as we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 started to formulate some things, but people kept
2 asking us about this as we were talking at various
3 society meetings.

4 And we said, Well, you know, the ICRP
5 limit for members of the public, it's 100 milligrams,
6 and under certain special circumstances you could get
7 up to 500 milligrams. And NRC has the exact same
8 thing. NRC allows you -- it's a separate provision --
9 to apply the use of the alternative higher dose limit
10 for a specific period of time, you have to justify why
11 the exposure is necessary, all those sorts of things.

12 ICRP, in some of its most recent
13 publications, including the new recommendations from
14 2007, has said that because young children are known
15 to be more sensitive to radiation, that, in fact, they
16 recommend that those types of individuals, children,
17 nursing infants, not be allowed to have the provision
18 for a short term circumstance higher than 100
19 milligrams, that it should be limited to just the 100
20 milligrams without being able to go any higher.

21 And so we were asked the question, NRC,
22 are you going to restrict the application of that
23 requirement. Now, this shows up in two places.
24 Primarily it shows up in Part 20 in this provision,
25 which I'm sure anyone has ever actually used, haven't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 heard anybody tell me they've ever actually needed to
2 apply for this alternative type thing.

3 The other place that it shows up is in the
4 medical area related to release of patients who have
5 been administered radioactive material as part of a
6 diagnosis or therapy. And in the medical area there
7 is already additional guidance that is required,
8 additional instructions that physicians are required
9 to provide to the treated individual before they are
10 released in order to try and ensure that young
11 children, nursing infants wouldn't be exposed to
12 greater than 100 milligrams.

13 So it's not -- in that case, the decision
14 was made not to change the regulation, but rather to
15 add to and strengthen the guidance, particularly since
16 in that case no one can actually control a patient
17 once they've been released from the hospital. And
18 while most of them do the right thing, it's sometimes
19 really tough for them not to go hug junior or
20 whomever. Not so bad if they go and hug their cat, or
21 different than -- that's a different set of issues, I
22 suppose.

23 But we wanted to just a brief discussion
24 around this. We've got lots and lots of discussion in
25 LA last week because we had all the doctors and they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 didn't want to discuss Part 20 at all, they wanted to
2 discuss the patient release criteria and how I
3 shouldn't change any of that.

4 But the options here, first of all, we can
5 just leave it alone, it seems to be working and no one
6 seems to be using it, so why bother expending any
7 effort associated with it. Or we could actually
8 change the regulation to specify that more sensitive
9 populations should not be provided the additional
10 allowance, should anyone ever decide they want to do
11 it. Or, as in the case that was pursued with the
12 patient release criteria and medical exposure, we
13 could just add to the guidance, put out a statement
14 associated with what the NRC's expectation would be
15 should someone ever decide that they needed to do
16 this.

17 And so with that brief introduction, we
18 can see what folks would like to add to this
19 conversation.

20 MR. HODGKINS: Okay. You guys know the
21 drill. Who wants to start and then we'll walk around
22 the room, go around the room. Any takers? Go for it,
23 Steve.

24 MR. CAMPBELL: This is Steve Campbell with
25 TC Inspection. I'd like to first off clarify the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 difference of guidance and regulation in my mind,
2 rule. Guidance to me is, and is it to the NRC, like a
3 road map from here to Dallas, I can take any road I
4 want. Opposed to a regulation being I have to go up
5 I-45 to get to Dallas. Is this an accurate statement?

6 DR. COOL: In part. Let me come back to
7 that a little bit. The regulation specifies what you
8 have to do. And if it were a specific detailed, you
9 have to take I-45 to I-67 to I whatever, okay, that
10 might be the regulation. We try in general, in fact,
11 to have it be a bit more performance based; the dose
12 limit is.

13 Now the guidance is an acceptable approach
14 to complying with the regulation. Absence something
15 else, if you apply the guidance, you know that you
16 will be in reasonable compliance as you're working
17 through that. Licensees always have the alternative
18 of proposing something else which the Commission could
19 also consider and approve because the guidance doesn't
20 represent the only way. It's an acceptable way.

21 And sometimes guidance has multiple
22 acceptable ways, such as in the calculation of
23 effective doses we talked yesterday. There are four
24 or five different formulas, depending on the kind of
25 circumstances you're in. In this particular case, it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would be guidance that would suggest if you wanted to
2 apply for this, here's some of the factors that you
3 would need to address in giving the proposal to have
4 this amendment issued.

5 Does that help you?

6 MR. CAMPBELL: Yes, it helps, but in the
7 medical field, would those folks have to put in
8 writing a procedure that they're -- in accordance with
9 a guidance, so to speak, and would they be held to
10 that being as they can't control the general public
11 once they're released from a facility. And say a
12 regulatory individual found something out, would it
13 fall back on the medical people that they didn't
14 follow their own guidance?

15 Are you going to have to -- clarify
16 guidance. You know, it's a pretty broad word when
17 you're saying he's going to have to write something,
18 guidance that controls this and then he really has no
19 control, but he's going to do his best. Is that --

20 DR. COOL: In the patient release context,
21 and I'm going to let Eric address it from the Society
22 of Nuclear Medicine standpoint, because that's what
23 they do every day, in that context they're required to
24 provide instructions orally and in writing, and the
25 guidance provides information about additional things

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that needs to be part of that instruction that is
2 required by the regulation.

3 And inspectors will go in and they will
4 look at it to see if the guidance addresses those
5 sorts of problems. It does not specify how they do
6 it, exactly the words that they use, although there is
7 a model.

8 MR. HODGKINS: Eric, do you want to just
9 take it from here since they've used your name so many
10 times in that last --

11 MR. CAMPBELL: Sorry about that.

12 DR. ROHREN: No, it's fine. That's fine.
13 Eric Rohren, Society of Nuclear Medicine. And I can
14 actually get some help from my colleague in the
15 audience too who is the author of our program.

16 But that's indeed the case. So patients
17 will receive most commonly radioactive iodine for
18 treatment of thyroid cancer, hyperthyroidism, and
19 based on the amount of administered activity, some
20 basic modeling of how much we think is going to be
21 residual in the body following that treatment, we'll
22 do dosimetry and predict the transit time of that
23 radioactive iodine through their body. And then based
24 on these limits, we'll give them discharge criteria.

25 Now a lot of patients can be treated as an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 outpatient. So they'll come in and receive their
2 therapy, and even upon termination of the
3 administration and spending a little bit of time in
4 our facility, they can be safely discharged with
5 instructions and keep the exposure to the public below
6 these limits.

7 At higher doses they will require
8 hospitalization and we need to wait for that
9 radioactive iodine to clear because then that exposure
10 is being administered to people who are considered
11 radiation workers. And then they can be discharged as
12 such point that are measurements indicate that they're
13 safe to discharge.

14 Our instructions are fairly specific, and
15 it comes out as written instructions as well as
16 verbally going over it with the patients, and includes
17 things like sleeping alone, staying a certain distance
18 from other people, using your own restroom for a
19 number of days, you know, basic radiation protection
20 issues like that. We don't have control over the
21 patients when we leave, and so these headlines you see
22 in the *New York Times* and other places, you know,
23 that's where the whole process falls apart a little
24 bit.

25 That we instruct the patients, we educate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the patients, we educate the people taking care of
2 those patients, but -- and once they're discharged,
3 like you said, you know, they basically can choose to
4 lead their own life and if they choose to go to the
5 airport and hop on an airplane and take a five-hour
6 flight sitting next to somebody, you know, that is
7 against the instructions that may have been given to
8 them, but not something that's under our direct
9 control.

10 In terms of how these changes would affect
11 us from a medical standpoint, you know, whatever dose
12 limit to the public is eventually arrived at, we can
13 incorporate that into our calculations. But what
14 happens is that it significantly changes the practice
15 of medicine in the case of radioactive radioisotope
16 therapy.

17 So a patient who may be able to be treated
18 as an outpatient and discharged from the facility, if
19 we lower the exposure limits to the public and redo
20 the calculation, it may say that patient now needs to
21 be hospitalized for three days. Someone who might be
22 in the hospital for three or four days now might need
23 to be in the hospital for 10 days.

24 And they're not in the hospital because
25 they medically need it, they're in the hospital

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 because they need to be isolated from a radiation
2 standpoint. These are things that are obviously going
3 to increase costs in an era when we're trying to
4 decrease the costs of medical care.

5 So these are the sorts of things we look
6 at from the medical perspective is, you know, we want
7 to do our best to protect the public, but recognizing
8 that, you know, there is a certain amount of exposure
9 that is going to result from our therapeutic
10 administrations for that particular patient. But
11 we're very careful about providing written and oral
12 instructions for that patient to protect themselves
13 and protect their caregivers and the public.

14 MR. HODGKINS: Thank you. How about your
15 colleague, would they like to say any -- add anything
16 to that discussion?

17 MALE VOICE: Not now.

18 DR. ROHREN: Not at all.

19 MR. HODGKINS: Okay. John.

20 MR. MILLER: Yes, I just got a question on
21 patient exposure and dose, and we talked about it a
22 little bit yesterday when the question was raised, if
23 we go to the -- from the 5 rem to the 2 rem, would
24 that affect patient care. And, you know, I
25 understand, after a patient has already been given a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 dose, you know, if that patient goes into distress,
2 you know, the patient is the, you know, the primary
3 concern, and so people will pick up an extra dose
4 taking care of the patient.

5 But do you see, even with the public
6 exposure and the possibility of going down to a lower
7 dose where a medical provider might say, You know,
8 this person really could use 50 millicuries of I-131,
9 but, you know, our nuclear medicine techs are pushing
10 the limit and we've got to be sure to hit these public
11 dose criterias, maybe we could get by with giving them
12 30 millicuries, and so is there a possibility that
13 there's a reduction in patient care?

14 DR. ROHREN: I don't think that that would
15 be the case, just because our approach to these
16 patients is fairly well regimented as far as, you
17 know, if you see this extent of this disease then they
18 need to be treated with this amount of radioactivity.

19 You'd get into an issue that you really wouldn't be
20 practicing according to the standard of care if you
21 started adjusting the doses like that.

22 There would probably be a little bit of
23 wiggle room, and we see that in treatment of patients
24 with overactive thyroid glands. We've come up with
25 this magic number of 33 millicuries of radioactive

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 iodine, and it wasn't arrived at for medical reasons
2 necessarily; it's just that in some Agreement States
3 that's the most you could administer and discharge the
4 patient as an outpatient afterwards really without
5 doing any additional assessment.

6 So we kind of arrived at this 33
7 millicuries as an upper limit of our therapy where in
8 fact the patient could theoretically benefit from 40
9 millicuries or 50 millicuries, but it would require
10 more paperwork in that case. But, you know, again,
11 that's an accepted standard and we feel that the
12 patients benefit from that.

13 So I think you've see a little bit of that
14 where you might modify the dose slightly to get over
15 or under exposure limits, but it wouldn't be a
16 dramatic change, and certainly not the kind of thing
17 that would convert somebody from a hospital stay to an
18 outpatient purely for sake of convenience, because,
19 you know, it's pretty laid out what you need to do in
20 that particular case to treat the patient effectively.

21 MR. HODGKINS: And good question, John.
22 And I just want the other medical folks to have an
23 opportunity to respond, echo to that, or anybody else
24 on the panel.

25 How about from the audience? Looking --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 yes, did you want to -- I mean, just because I know
2 there's a few of you that have had some experience and
3 may want to echo, or you don't have to.

4 (Pause.)

5 MR. HODGKINS: You know what, you got to
6 do the microphone. Come on. We're a patient group.

7 MS. NEMETI: Krisztina Nemeti, and I'm
8 actually radiation safety at the University of Texas,
9 Med Science Center.

10 MR. HODGKINS: Can you -- speak into the
11 microphone. There you go.

12 MS. NEMETI: I'm trying to, yes. I just
13 came to know that some states actually release
14 patients after 100 millicurie of iodine 131
15 administration, and the patient goes to the hotel.
16 And, you know, they're using the hotel room because he
17 or she got actually the information that, okay, you
18 cannot go home, you cannot have children have on your
19 lap, you cannot actually really be close to people.

20 Now, this patient goes to the hotel,
21 isolating himself or herself, basically isolation, he
22 thinks, but then he's going to soil the bed, he's
23 going to soil the, you know, the bathroom and
24 everything else.

25 So there are actually so much more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 involved than just a piece of paper given to the
2 patient. And of course, you know, it definitely
3 depends how much you give the patient.

4 What my practice was when I was in nuclear
5 medicine in a hospital, that was actually in Alabama,
6 we were not allowed to give the patient more than 30
7 millicuries and basically 30 millicuries the patient
8 can leave.

9 Anything above, up to 250 millicuries, of
10 course, that's what we could give the patient as a
11 therapy, basically the patient had to stay in the
12 hospital until it goes down to 30 millicuries' worth
13 of exposure.

14 So I understand the business point of view
15 that basically you have pay so much for the
16 hospitalization. But we're talking about, you know,
17 public exposures and, yes, iodine has a fairly long
18 half life and of course, you know, patients with 200
19 millicuries, 150 millicuries, they're going to carry
20 that exposure a little bit longer. And, you know,
21 they're going to be in the, you know, public. They
22 try to isolate themselves, but if you go to the hotel,
23 it's not really an isolation.

24 MR. HODGKINS: So as far as A, B, or C,
25 are you coming down on any particular choice here, or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 just amplifying what's been said?

2 MS. NEMETI: I'm just amplifying actually
3 because I really have no right to say anything yes or
4 no, but I would like that somebody is going to, you
5 know, make a decision that this is the -- so it's not
6 only that the state can actually choose, but also, you
7 know, the hospitals get some help with that.

8 I understand that's basically a lot of
9 money involved because the patient gets in the
10 hospital for two days or 10 days, it's a big, big, big
11 difference. But, yes, I -- somehow in between we have
12 a line here, because that's important, I think.

13 MR. HODGKINS: Okay. Thank you very much.

14 DR. COOL: Okay. Before you walk away for
15 a second, we'll come off of Part 2 just for a second,
16 because the question of hoteling, which you have
17 mentioned here, is, in fact, a very active discussion
18 with the group that is looking at our medical
19 regulations right now, because this has been an issue.

20 There have been circumstances where some
21 states -- the one I can think of immediately was in
22 Illinois -- came in and found iodine contamination of
23 the room and had to spend a fair amount -- do you have
24 any specific suggestions that we could pass along to
25 them? -- because that's an active consideration right

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 now.

2 MS. NEMETI: Well, I don't know actually
3 what would be the best, because what people would
4 be -- more listen to, it would be a fine for that.
5 But how are you going to find those people? You
6 cannot walk around with a Geiger counter, you know,
7 and then see actually who is radiating and who are
8 not.

9 So what would be best, I am not sure. But
10 definitely it's up to the discussion to decide this,
11 because that's -- I think it's a very important issue
12 because more and more people get these kind of therapy
13 and, you know, radiation you cannot detect by
14 smelling, seeing, feeling, only if just walk around
15 with a Geiger counter, so I mean -- that type of
16 radiation with a Geiger counter -- but I mean it's
17 definitely we have to talk about it because this is a
18 serious exposure to the public. So that's all my --

19 DR. COOL: Thank you.

20 Let me just suggest we go back on this
21 particular topic, but if people here want to provide
22 any views and suggestions on that, we will make sure
23 that they get to the right individuals so that they
24 can factor that in as part of their considerations
25 because that's yet another rule making. There are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 lots of things going on in the Commission at the
2 moment.

3 So thank you very much.

4 And, Dan, we can go back to --

5 MR. HODGKINS: Did you want to say
6 anything more, Eric?

7 DR. ROHREN: Well, you know, just to kind
8 set of the tone for discussion too, I would urge
9 people to remember that, you know, there are thousands
10 of these patients that are treated each year. I think
11 it's important not to lose sight of the big picture
12 for the fact that there's one or two case examples
13 where somebody goes to a hotel room and, you know, is
14 incontinent, wets the bed, whatever, results in
15 aberrant exposure of iodine.

16 You know, the majority of the patients are
17 treated effectively, are well below the exposure
18 limits for the public, you know, you don't set policy
19 I believe to try to catch the outlier. I believe you
20 set policy to try to address the place where most
21 people are going to fall, and that is that most people
22 are treated very effectively and successfully with a
23 limited exposure to the public.

24 I think the purpose of the regulations and
25 what we need out of the NRC is to be a voice of reason

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to say that a certain amount of exposure is okay. You
2 know, we're all sitting on that slippery slope where
3 it's easy to say zero exposure is our goal. And if we
4 all go down that route, then we're going to hurt our
5 industries, we're going to hurt the industrial side,
6 we're going to hurt the medical side. There's no way
7 that we can achieve zero exposure for everybody.

8 So we need to all accept the fact that
9 there's going to be a certain level of exposure, be it
10 to radiation workers, be it to the public, that's
11 going to be acceptable. Gayle had said yesterday in
12 the issue on fetal dose, you know, when they have
13 someone declare pregnancy, they move them off the job
14 and put them in a basically zero exposure environment.

15 That's a different matter than what we
16 were talking about earlier in the day when we all kind
17 of agreed that radiation workers, there was an
18 acceptable degree of exposure that we considered to be
19 safe. And I think you could say the same thing for
20 fetal exposure that, you know, although it's easy to
21 say we don't want any, I think we have to be open to
22 the fact that there probably is a safe level exposure
23 and to set those limits and keep the people within
24 that limit.

25 And I think the same is true with regards

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to these discharge criteria, you know, we're never
2 going to reach the point -- we can't keep the patients
3 in the hospital until radioactive iodine with an
4 eight-day half life has decayed completely away, you
5 know, weeks later. That's not going to be the case.
6 We're not going to get them down to zero. So there's
7 always going to be some exposure to the public
8 inadvertently by these patients who are discharged
9 from the facility.

10 It's our job to minimize that and keep
11 that below a certain threshold, but where that
12 threshold lies is really what's open to debate. And I
13 think being a little on the rational side and saying
14 that, you know, we need to aim for what's going to
15 cover the most patients and the most members of the
16 public, and keep that dose exposure recognizing that
17 patients are pretty creative and they're going to come
18 up with ways of doing things that are going to not
19 follow our rules and not be predictable resulting in,
20 you know, one or two case examples that, you know, is
21 going to end up on the headlines unfortunately.

22 But if we try to protect ourselves to the
23 extent that every last contingency is covered for,
24 then I think we're going down that slippery slope of
25 towards zero exposure consistency, and I don't think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that that's an achievable end.

2 MR. HODGKINS: Thank you.

3 How about let's just go around.

4 Leonard, anything to add to the
5 conversation?

6 MR. EARLS: This is Leonard Earls. Keep
7 in mind that we're talking about 100 millirem here as
8 the number. And just remember that the background
9 radiation variation across this country will easily
10 give you the plus or minus 100 that means, for
11 example, children in a higher elevation, say Denver,
12 are probably going to get this 100 from cosmic rays.

13 So we're talking about situations that we
14 can control here. It's not a matter of absolute
15 protection of the individual, otherwise we'd probably
16 send, you know, messages out that if you live above a
17 certain elevation you shouldn't have children there.

18 MR. HODGKINS: Don.

19 MR. SIDES: Don Sides, Stork, no comment
20 at this time.

21 MR. HODGKINS: Gayle.

22 MS. STATON: Gayle Staton, Acuren, no
23 comment.

24 MR. YUNKER: Tony Yunker, Baker Hughes, no
25 comment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. SAVELY: Susanne Savely, I want to say
2 what you said, Eric, makes so much sense, and it's a
3 very practical approach to this situation.

4 Another thought I had was that, you know,
5 we think in terms of hospital or home, hospital or
6 home, but what if, in some cases, there was something
7 in between, a hotel area reserved for these types of
8 patients that was decontaminated by hospital personnel
9 or radiation safety personnel and sort of have a
10 halfway house, someplace -- if they didn't want to go
11 home, that they could stay that would be cheaper than
12 staying in a hospital and running up your insurance
13 tab.

14 MR. HODGKINS: Mary Ott and I have a side
15 business here.

16 MR. LEDOUX: Mark Ledoux, EnergySolutions.
17 I had a question on 3.2C. Currently right now if you
18 want to do -- you've got to maintain at a 100
19 millirem, and that can take into account occupancy
20 factors, in other words that there's not a person at
21 your boundary 24 hours a day, seven days a year, and
22 if you want to go greater than that, then you have to
23 get permission to do that and you have, you know, go
24 to your regulator, do your study, maintain ALARA, and
25 it's a short term.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So now 3.2C you're saying add -- now this
2 is not currently in the rules. Right? Am I correct?
3 I don't believe it is.

4 DR. COOL: Correct.

5 MR. LEDOUX: So when you say we require
6 licensees to demonstrate, so you're going to
7 affirmatively in your application say, We did not
8 address sensitive populations? Is that what you're
9 asking? Or we did?

10 DR. COOL: Since that the moment the rule
11 doesn't say anything about it, the proposal was to
12 make sure through adding the guidance that would need
13 be part of the application that you specifically
14 address the consideration as part of the proposal,
15 rather than having to change the rule.

16 The rule requires you to apply, and, in
17 fact, I'm quite interested because I don't know of
18 anyone who has ever needed to do this, so it may well
19 be a moot point. But should someone wish to apply, 3C
20 would be an option that just says, As part of the
21 format and guidance of things that need to be
22 addressed, that this would be a specific topic that
23 needed to be addressed because of that added
24 sensitivity, rather than doing anything in the
25 regulation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. LEDOUX: Okay. Well, now I'm going to
2 come out and say I would recommend 3.2A, no change,
3 because it is -- you are required to maintain it at
4 100 right now. If you want to go above that, you can
5 petition the state regulator and in your petition you
6 would document your modeling, why you got to where --
7 and if you, for example, have a daycare center outside
8 your restricted area boundary, then you're going to
9 need to address how you're going to make sure that
10 you're going to be within your limits and so forth and
11 go that route, so.

12 DR. COOL: Okay.

13 MR. HODGKINS: Thank you.

14 Laurie.

15 MS. MCGOWEN: Laurie McGowen, Lamco. This
16 really, you know, as far as industrial, we've never
17 used it, so it seems to me like Eric's got the right
18 answer in that they're already doing it, so I say no
19 change.

20 MR. HODGKINS: Eric has the right answer.

21 Don't you love hearing that?

22 (General laughter.)

23 MR. HODGKINS: I be you hear that --

24 DR. ROHREN: I hear it all the time.

25 (General laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HODGKINS: Toby.

2 MR. HEAD: Toby Head, H&H. Eric, I agree
3 with you, man, 3.2A, no change.

4 MR. HODGKINS: John.

5 MR. MILLER: Yes, no change, same basis
6 that Mark alluded to, the regulator has to make the
7 approval anyway, so I mean that would be considered in
8 the approval.

9 And on the other question, or the other
10 aspect is, you know, when we demonstrate compliance
11 with 100 millirem public dose, this is a theoretical
12 member of the public. You know, we were discussing
13 this at dinner, nobody hangs out on my fence line
14 picking up this dose, you know, so really it's a 100
15 millirem if somebody really was there receiving the
16 dose.

17 MR. HODGKINS: Ann?

18 MS. TROXLER: Ann Troxler, I agree with
19 Eric also. There's enough flexibility in the no-
20 change option to allow a medical profession to
21 function in the way that it should to protect the
22 public, and also to be able to protect the patient.

23 MR. HODGKINS: Thank you, Ann.

24 Wei-Hsung?

25 DR. WANG: Wei-Hsung Wang. I support no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 change, the existing rules already provide adequate
2 protections.

3 MR. HODGKINS: Jean.

4 MS. J. STATON: Jean Staton with METCO. I
5 believe no change. I will admit that that 3.2A had me
6 second guessing myself the way it read. I thought you
7 were telling me we were allowed to have a dose limit
8 of 500 MR, and I'm going, I'm second-guessing myself.

9 If I would have had the *Texas Register* with me, I
10 would have looked at that. But I know we're allowed
11 no more than 100 MR a year.

12 MR. HODGKINS: Doris.

13 MS. BRYAN: I agree with no change, and I
14 think one item that the NRC should take into account
15 is insurance coverage. I know -- I have a son who's a
16 physician, so I am aware of how hard it is to get
17 insurance companies to pay for things. And if these
18 folks have to start keeping people in the hospital
19 three days instead of one day, 10 instead of three
20 days, then are they going to have to change who they
21 give the administration to, or how it gets paid for?
22 Are the patients going to be able to pay for this
23 extra stuff that insurance companies do not?

24 MR. HODGKINS: Thank you.

25 Ellen.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. ANDERSON: Ellen Anderson, Nuclear
2 Energy Institute. We support the no change for the
3 many reasons that have already been discussed.

4 MR. HODGKINS: Steve.

5 MR. CAMPBELL: Steve Campbell, I support
6 the no change. I'm an example of the iodine treatment
7 at Anderson, and their policies and procedures
8 satisfied me as a patient there.

9 I would like to follow with Eric a little
10 bit on an impact to, say a facility like MD Anderson.

11 If I went to a lower dose, I had the high dose
12 iodine, if I was -- if they were to restrict the dose
13 limits, and it would be an option to my team that's
14 over my care to lower that dose limit, that would
15 further my treatment.

16 If I wouldn't be mistaken, or come back
17 for a follow up treatment of more, which would, again,
18 cost me, the consumer, more, and would it impact,
19 because I've read up on Anderson, I'm going to use
20 them as an example, receive some 8,000 patients a day
21 year round. And if I was to stay in the hospital for
22 five days versus the two, that would impact your care
23 of other patients needing that care, if I'm not
24 mistaken. I see it going it that way. I support no
25 change.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HODGKINS: Thanks, Steve.

2 Alice.

3 MS. ROGERS: Alice Rogers, Texas, I have
4 nothing to add.

5 MR. HODGKINS: You feeling supported,
6 Eric? Anything you want to add?

7 (No audible response.)

8 MR. HODGKINS: Okay. Anybody from the
9 audience want to add to this? So let's review the
10 questions -- oh, did I hear -- see, yes. Yes, please.

11 MS. NEMETI: Krisztina Nemeti, radiation
12 safety, University of Texas Health Science Center.
13 Just one thing, I'm not sure I'm saying anything new,
14 that was in my mind, that patients with this high dose
15 therapy, Iodine 131, if the -- I was just actually
16 giving to Doris Bryan a comment that if the insurance
17 would actually support that the patient can go into a
18 facility, not a hospital, but this separate facility
19 where they can actually keep the patients a certain
20 amount of time until that person goes down less than
21 30 millicuries of radiation, and, you know, the
22 insurance would help actually with these, that would
23 be actually a great, great help for the medical
24 community, and our hospitals as well, physicians and
25 everybody.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So, you know, there would be actually a
2 lot of people with, you know, like internal medicine
3 technologists and maybe doctors that could actually
4 help these patients get through this time. But that
5 would be a big help if we could have this facility
6 built and also, you know, the -- especially that the
7 insurance would pay for it.

8 MR. HODGKINS: Thank you.

9 MR. FONTENOT: Mike Fontenot with Thermo
10 Fisher Scientific. This is a little bit off topic,
11 but Eric's comments about impact made me think of
12 this. As we drive occupational exposure and public
13 exposure down, it has impacts in all of industry.
14 We're seeing that now. We sell our products
15 internationally, and in the EU and in China and India
16 where these -- some of these changes have already
17 taken place, they take those numbers and drive them
18 back.

19 If you want to set a certain dose limit
20 for the public, they'll push that to source sizes for
21 exposure rates around equipment. So there are certain
22 areas where we can't get our products into the market,
23 or we're having to take smaller sources and put them
24 in larger and larger shielded devices so it's
25 hampering industry.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 It's just sort of an idea I wanted to give
2 to the panel that there are other things other than
3 just worrying about, Oh no, I've got a couple of guys
4 that aren't going to make the 2 rem per year. It may
5 affect your product, it may affect the cameras that
6 the industry radiographers can use, that sort of
7 thing.

8 MR. HODGKINS: Thank you.

9 Anybody else from the audience want to add
10 to this before we get to the questions? Let's see how
11 we did with the questions.

12 DR. COOL: Okay. I'm pretty sure that
13 we've addressed the first two, so I'm just going to
14 quickly go through them and look to see if anyone has
15 anything associated with additional impacts to this.
16 I haven't heard any of you address any. Did we miss
17 anybody's opportunity?

18 Most of the heads are perfectly still.
19 There are a couple of -- you know, we may need to stop
20 for coffee sooner than I thought.

21 (General laughter.)

22 DR. COOL: Okay. Well, I'm going to keep
23 going.

24 MR. HODGKINS: Or get on to the
25 constraints.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. COOL: The second was there were any
2 differences in the options, and what I think I heard
3 you saying was that you don't feel that any change is
4 needed, that there's already enough flexibility built
5 in. So the third one, and I didn't hear anyone say
6 it, but I'm going to ask the question one more time,
7 has anyone ever needed to actually use this provision,
8 either in the NRC regulations or corresponding things
9 in the state's regulation?

10 (No response.)

11 DR. COOL: The transcript should note that
12 the heads are shaking left-right.

13 (General laughter.)

14 DR. COOL: All right.

15 MS. ROGERS: Don -- Alice Rogers, Texas --
16 we actually do environmental monitoring around two of
17 our licensees who are manufacturers of sealed sources
18 who regularly come pretty close to the 100 millirem,
19 and we'd be glad to give you that data, and it's
20 already, I think, publically available on our website.

21 DR. COOL: Very good. Thank you.

22 That being the case -- Mark?

23 MR. LEDOUX: I just have a question on
24 that, are those licensees -- or does Texas allow them
25 to use occupancy factors, that's including occupancy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 factors?

2 MS. ROGERS: We do allow the use of
3 occupancy factors. These particular data are taken at
4 the fence line.

5 MR. HODGKINS: Any other questions,
6 comments, concerns, amplifications to this last issue
7 before we move on to incorporation of dose
8 constraints?

9 (No response.)

10 DR. COOL: All right. A lovely topic
11 which hides what we're really going to talk about. I
12 saw Mark was over there, he was rubbing his hands.
13 Everybody's now getting ready, the energy just jumped
14 one order of magnitude in the room. That's a good
15 thing.

16 I'm going to start with a brief
17 description because this topic and the whole topic of
18 optimization of radiation protection is the place that
19 all of you, as in other meetings, have said where the
20 real improvements of radiation protection lie.

21 The use of constraints and the consistent
22 use of optimization is, in fact, the biggest single
23 change that the ICRP latest set of recommendations put
24 in. A more consistent use of planning values, a more
25 consistent use of optimization no matter what the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 exposure situation.

2 So ICRP 103 places an emphasis on all the
3 exposure situations and recommends constraints as
4 planning values, values that you would use in advance
5 to help understand where you wanted your protection
6 program to be as part of your process. It might be
7 best practices, it might be a variety of things, to
8 help you know where your exposures ought to be in this
9 situation. I'm talking with my ICRP hat on for the
10 moment.

11 Through a long discussion, ICRP tried to
12 make clear, I say tried to make clear, the constraints
13 were not intended to be limits, because that was the
14 biggest point of discussion, back and forth everyone
15 said, Well, it's just another way to have limits.
16 It's just a different way to force values down.

17 They were saying, No, we don't want it to
18 be a limit, we want to be a perspective value that you
19 use in your program, and I believe what they were
20 trying to do was recognize more formally in the
21 recommendations what many of you do on a daily basis
22 as part of your radiation protection programs.

23 There is, needless to say, a rather robust
24 and ongoing dialogue about how that should be built
25 into the regulations. This is a place where the rest

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of the world is doing the exact same thing we're
2 doing. What do we do with this concept, do we write
3 it into the requirements or not, if so, how do we go
4 about doing that process.

5 So a couple of benchmarks for us, if you
6 will, at the moment. International Atomic Energy
7 Agency, in their draft basic safety standards -- I've
8 just highlighted a couple of points taken from the
9 draft text, this from one of the early paragraphs that
10 specifies what a regulatory body should be doing in
11 setting up the program, saying that we should
12 establish requirements for optimization, and that
13 makes sense, you need to optimize your protection.

14 And should require some documentation of
15 that. Okay. That makes sense. And establish your
16 approved constraints or the process of establishing
17 constraints that are used in that optimization
18 protection process. Pretty generic. It says
19 basically you ought to work on optimizing protection,
20 you ought to write down what you did, and you need to
21 do some planning that's part of it. Fairly
22 straightforward and simple, nice 3,000 foot level,
23 most people could probably agree with that.

24 Our friends in the European union have
25 said actually similar sort of things at the moment,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that the dose constraints are to be established for
2 workers and members of the public. Now, that reads a
3 little bit more firmly. It's not exactly clear from
4 that paragraph the extent to which that might start to
5 quack like a duck that has no limit label on its back.

6 But that's what they've said.

7 And they went on to elaborate on it, and
8 this is where it becomes a little bit more clear that
9 they were also thinking in the context of an
10 operational tool rather than as a legal limit and
11 boundary. So lots of words there, you have them on
12 the slide. I'm not going to spend a lot of time
13 trying to go through that.

14 Now, we, the NRC, and the Agreement
15 States, only require a licensee to develop, document,
16 and implement a radiation protection program. So all
17 of that case is in place, it's been in place for a
18 number of years. Licensees are required to use
19 procedures and engineering controls to achieve doses
20 that are as low as reasonably achievable. The words
21 don't actually say planning, but that could well be
22 just an implicit assumption you can't do this unless
23 you do some planning. So that's what the regulation
24 says.

25 It does not specifically require today the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 licensees establish planning values as part of their
2 programs or as part of the ALARA. So some folks that
3 come in, for example, over the last couple of weeks
4 back up in DC, we've had a group of 20-something folks
5 from around the world in conducting a review of the
6 NRC's reactor regulatory program.

7 Yes, we get reviews too. All the states
8 that think about the IMPEP program and reviews and all
9 of you think about inspections, we just had a two-week
10 inspection, if you want to view it that way, where a
11 whole bunch of folks came in, looked at all of the
12 different regulatory programs related to the reactors
13 that the NRC has.

14 They made a number of observations. We're
15 happy to say they found a number of really good
16 practices that they're going to write up in the
17 report. They had several suggestions. One of their
18 suggestions was in the radiation protection area, that
19 we try to more closely align ourselves with the
20 international standards and with the limits and
21 various and sundry things.

22 So this gets attention within the agency.

23 So when they start to look in details, this is where
24 people start to say, Well, it doesn't say to do that,
25 I'm glad everyone is maybe doing that as a best

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 practice, but it sure would be nice if there something
2 in the structure so that we knew everyone was going to
3 do it.

4 If I'm sounding a little bit like a lawyer
5 at the moment, it's because we are a somewhat
6 observed -- you know, the discussion yesterday -- a
7 litigious system; we have people that look
8 specifically at the regulations, trying to look for
9 some of these holes.

10 And I admit that I was there at the time
11 when we spent a lot of time with the EPA which
12 resulted in the only known place where constraints are
13 in the NRC regs today, because constraint's actually a
14 defined term in Part 20 already. It says, A value
15 above which specified licensee actions are required.
16 It doesn't specify what the licensee actions are, it
17 just says it's a value.

18 Now, the actual requirement applies to
19 airborne effluents from non-reactor facilities. And
20 we go there as a result of a, back and forth
21 negotiation would be a nice way to put it, with the
22 Environmental Protection Agency, folks in their Clean
23 Air Act office who were looking at the implementation
24 of the Clean Air Act for different categories of
25 facilities.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And when they looked at the reactor
2 facilities they said, Ah ha, here's all of these
3 things, reactor regulations, and here's the specific
4 thing that has specific very small little numbers as
5 planning values that the reactors have to have to
6 various types of effluents, airborne effluents, water
7 effluents, direct exposure, all of that.

8 We, NRC, see this -- we, EPA, sorry --
9 EPA, we see this and we see all that detail and so we
10 have confidence that there is the right planning to
11 keep exposures very low, and so we do not need to do
12 anything under the Clean Air Act to make sure that
13 exposures from airborne effluents are appropriate.

14 And then they went to the material side of
15 the house, the non-reactor side of the house. They
16 said, Okay, show us where those numbers show up on the
17 non-reactor side of the house. And there wasn't
18 anything. There were the dose limits, there was the
19 general requirement to be ALARA.

20 And they said, This isn't good enough.
21 We're going to get sued, because that's what people
22 love to do to EPA -- I'm sorry; that was probably
23 politically incorrect -- and so they went looking for
24 some more detailed specification, a piece that had to
25 be in place.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 That resulted in the NRC actually adding
2 this requirement to our regulations so that there
3 would be a number, it's 10 millirem, from airborne
4 effluents for non-reactor facilities, so that EPA
5 could then choose not to regulate materials facilities
6 under the Clean Air Act. We avoided doing regulations
7 and all the process associated with that.

8 Unfortunately what that means is there's a
9 number in the regulations that's called a constraint
10 and the actions that a licensee has to take, if 10
11 millirem is exceeded, is to tell the NRC and take
12 appropriate corrective action. So a violation in that
13 case is not the fact that you had 11 millirem, but it
14 would be a violation if you didn't tell us and if you
15 didn't fix it. In other words, get back under 10.

16 And many people have said, all very nice,
17 it's sort of nice the fact that 11 millirem in and of
18 itself isn't a violation, but it sure still makes us
19 behave as if it's a limit because we have to get back
20 under it, we have to take corrective actions, and we
21 have to tell you, and any time we have to tell you
22 something, that's a really big deal.

23 So this particular circumstance, while it
24 uses the word constraint, is set up in such a way that
25 a number of the parameters around it make many people

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 feel, or at least that's what we've been told in the
2 previous couple of meetings, you'll get your chance in
3 a moment, that this is still like a limit.

4 So, as we start to go about this
5 discussion, I want to broaden us back out. Let's
6 start with the fundamental standpoint of what are the
7 right things to have in place for good radiation
8 protection, for optimization of protection.

9 Now, you don't find the NRC regulation
10 actually saying optimization. We say reducing
11 exposures as low as reasonably achievable. That's
12 what ICRP defines as optimization, so we can use those
13 two terms sort of interchangeably, I believe.

14 Should we just leave well enough alone,
15 you're required to have a radiation protection
16 program, you're required to reduce exposures as low as
17 reasonably achievable using procedures and engineering
18 controls, well and good. The fact that people do
19 their planning and generally use planning values is a
20 nice good practice, let it be. Don't need to see the
21 lines all connected together so that people have a
22 basis from which to do that.

23 Now, I will tell you that we have had some
24 people say, Well, ALARA is the most difficult thing to
25 inspect in the force, because it's this sort of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 clerical do the best you can do, how can you really
2 know whether you've done things, what is the way that
3 you can gauge whether people are doing the right
4 things?

5 And so quite frankly some people have come
6 to us and said, Well, it would actually help --
7 perhaps on both sides though, it was inspectors I
8 think who told me this -- it would help to have
9 something that we knew we could go look at.

10 So second option, make a little bit of
11 change, require that licensees establish constraints
12 or planning values or planning criteria -- I'm not at
13 all wedded to a particular set of words -- as part of
14 their programs in the implementation of ALARA. That
15 way everyone knows that you need to be doing the
16 planning and that there needs to be some criteria
17 associated with the process.

18 The third step in that equation that came
19 out in some of the discussions was, Well, maybe
20 because we don't want to change the limits, we heard
21 that lots and lots of times, that we should, in
22 addition to telling people they have to have some
23 planning values, we should in some way establish what
24 the goal or the criteria or the constraint numerically
25 should be for occupational exposure so that there's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 something when everyone goes to look and see, did you
2 align the regulations where they could find the
3 occupations dose values, the average of 2 rem while
4 still allowing flexibility because it wouldn't be
5 something that would be a legal limit, it would be
6 something that the licensee had in their planning
7 program.

8 So the suggestion was made, well, what if
9 you not only required them to have a planning
10 criteria, but you told them that at some macroscopic
11 level that that planning ought not to be above 2 rem
12 per year for any given individual in an occupational
13 setting.

14 This is just the occupational part. The
15 part about having planning and having criteria would
16 equally apply whether it's occupational exposure, your
17 effluents, or any other piece of the puzzle.

18 So there are a lot of components to this,
19 there are a lot of different directions that you could
20 go with it. At the moment let me reinforce no
21 decision has been made, there's nothing that says it
22 would have to be reported, so the pros and cons
23 associated with is it good to plan, is it good to tell
24 somebody about it, should it just be inspectable, all
25 of those are pieces that we're seeking feedback on as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to whether there's something that we should do to add
2 some structure and some consistency for everyone or
3 not, and if so, what it would be, how it would be most
4 beneficial to everyone in the process.

5 Those are the three options. I'm actually
6 going to go back to the first pair. I think everyone
7 can recognize that the question of putting a number in
8 there is on the next slide, but I doubt that you'll
9 forget that as we go about the discussion.

10 Dan, let's go at it.

11 MR. HODGKINS: All right. John.

12 MR. MILLER: Just a clarification, so B
13 and C really would add the requirement to have
14 constraints into the regulation, but C would specific
15 some fraction or some number that would be like a
16 constraint that is applied industry-wide. So, you
17 know, for B it would be up to the licensee to figure
18 out what their constraint value is, and that would
19 vary from licensee to licensee, industry to industry.

20 But for C, the licensee would require to
21 have a constraint in their program and those
22 constraints would be standard across industry and from
23 one licensee to another. So, you know, if you're
24 constrained, it's 2 rem per year, everybody's
25 constraint's going to be 2 rem per year. If you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a constraint for contamination levels or dose rates or
2 something like that, that's going to be standard
3 across the board for C.

4 DR. COOL: Almost. As this discussion
5 started, it was put a cap on the value that people
6 could use as the starting point. So rather than
7 saying everyone had to use 2, or 1.8, or something
8 else, say, You get to establish your own number but
9 don't pick a number greater than X, or don't pick a
10 number like 4.5.

11 Although certainly another option is to
12 say, For any given individual licensee, you have to
13 have a constraint of 2. Every time you start to do
14 that, you move it a little bit closer perhaps to it
15 being a limit because then you're tightening it down.

16 But part of what I want to have you explore is the
17 value of that verus the value of flexibility.

18 Does that help?

19 MR. MILLER: Yes, that helps, and it just
20 makes me want to say this is a very bad idea.

21 (General laughter.)

22 MR. HODGKINS: So are you voting A?

23 MR. MILLER: If I start the voting, I
24 would vote for A.

25 MR. HODGKINS: Okay. Toby.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HEAD: I agree with John, A, no
2 change.

3 MR. HODGKINS: Laurie.

4 MS. MCGOWEN: Laurie McGowen from Lamco.
5 I say no change. I see a lot of problems when you
6 start putting the numbers in there and then you're
7 going to starting what you have to report and the
8 inspector's going to get to come and evaluate and they
9 might not think it's good enough , or it is good
10 enough, or -- the ALARA program like it is right now
11 it seems to me like you can evaluate that by whether
12 or not the individual's dose goes down from month to
13 month, or from year to year, and once you start
14 putting this in, this is just another thing for the
15 inspectors to have a discussion about whether you did
16 it right or not.

17 MR. HODGKINS: Okay. Mark.

18 MR. LEDOUX: Mark Ledoux. I would say no
19 change, and let me just explain a little bit. The
20 first thing is at EnerySolutions, and I'll give this
21 as an example, we have a corporate radiation safety
22 program, and the keystone of that is the ALARA
23 philosophy.

24 And each one -- in that program, every one
25 of our licensed facilities and licensees is required

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to have the radiation safety committee meeting
2 quarterly, and those meetings are -- the minutes are
3 calculated and in those at the beginning of each year
4 they're required to come up with ALARA goals for
5 collective dose, max dose, average dose for their work
6 that they're going to be -- they're planning to do for
7 that year.

8 All that is basically the same thing, even
9 though it may not be written specifically. So I'd say
10 that we already have -- EnergySolutions, and I believe
11 in general most everybody else does the same thing,
12 under the ALARA philosophy, the ALARA requirement in
13 10 CFR 20. That's already taken care of, and we --
14 whether you call it a constraint or whether you call
15 it an ALARA goal or limit, it's the same thing.

16 And I guess I got to say it, I know the
17 constraint thing and if it comes in, it'll be a limit,
18 and that's the way it's going to go. And I don't
19 think that's a good idea. So thank you.

20 MR. HODGKINS: Ellen

21 MS. ANDERSON: Ellen Anderson from the
22 Nuclear Energy Institute. I agree with Mark 100
23 percent. As soon as you start putting a number in, it
24 becomes a de facto limit, and we don't need any more
25 limits.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HODGKINS: Okay. John.

2 MR. MILLER: In addition to melding into a
3 limit, it kind of gives the regulator a comparison as
4 well. And, you know, my pockets might not be as deep
5 as Mark's pockets, and so my constraint might not be
6 as good as his constraint, and so there are these
7 comparisons that are made across the industry and, you
8 know, you should be doing this better because they can
9 do it.

10 And as far as having a regulator inspect
11 constraints and how well -- it's very, very subjective
12 and I don't know how you would design an inspection
13 criteria to, you know, to inspect a licensee against a
14 constraint.

15 MR. HODGKINS: Alice.

16 MS. ROGERS: Alice Rogers, Texas. As a
17 general philosophy for regulatory programs, I think
18 having soft items in the rules is not a good thing.
19 It's difficult to inspect, it's hard to enforce, it's
20 complex, it's expensive for everybody, and there's no
21 health and -- public health and safety benefit.

22 MR. HODGKINS: So that being said --

23 MS. ROGERS: I'm here to observe and learn
24 things, I'm not here to vote.

25 (General laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HODGKINS: Yes.

2 MR. CAMPBELL: Steve Campbell, TC
3 Inspections. Define planning value.

4 DR. COOL: Okay. I'm going to start and
5 then I'm going to hold up the mirror. When ICRP was
6 talking about it, they were talking about the
7 individual doses that you would expect to see for
8 particular jobs or particular activities as you were
9 doing the analysis. I could easily imagine that it
10 wouldn't necessarily be always in dose, that it could
11 be associated with particular activities or particular
12 other criteria that were more easily measurable is not
13 the right word, but defined from an operational
14 standpoint to help guide how you were going to do
15 things when you were going to specify things, that
16 that was part of the discussion.

17 MR. CAMPBELL: Okay. On that I'm speaking
18 from the industrial side, radiography side. Planning
19 values would be impossible. If I tried to set the
20 values as a constraint, or a number, I would fail, 100
21 percent I would fail, because we're driven by the oil
22 and gas industry, and other issues that drive our work
23 to peak to nothing -- from peak to nothing numerous
24 times a year. So there's no way to have a planning
25 value on the industrial side, I don't believe and to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 follow that in any way.

2 DR. COOL: So how do you do your ALARA
3 planning then?

4 MR. CAMPBELL: ALARA planning is driven by
5 our operating emergency procedures and the training
6 that we do with the individuals. And it's my job to
7 monitor that, and the only way I can monitor it is,
8 you know, weekly, monthly -- monthly because we use
9 badges monthly, so it's monitored monthly, but I have
10 no way of telling Don for instance, so he picked up
11 100 millirem last month. Hey, I'm planning on you
12 picking up 200 next month because -- well, that may
13 not be the case. The job I had lined up fell through,
14 someone else got it, or whatever.

15 So those planning values wouldn't be
16 applicable to the radiography end, I don't believe. I
17 vote no change.

18 MR. HODGKINS: Okay. Yes, Doris.

19 MS. BRYAN: Doris Bryan, Radiation
20 Technology. I vote for number 4A, no change. I think
21 that we can be "constrained" out of business. We
22 started out years ago with ALARA, then came along with
23 the increased controls program, which we all had to
24 implement and have been inspected against, we had to
25 go with the fingerprinting program, now we've got Part

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 37 coming up. Where does it end? You know, we need
2 some relief from some of this. I vote for no change.

3 MR. HODGKINS: Okay. Anybody else?

4 Yes, Gayle.

5 MS. STATON: I vote -- this is Gayle
6 Staton, Acuren Inspection, I vote for no change
7 because basically I believe we're already using
8 constraints with our radiation protection program and
9 our ALARA program. And I don't believe there's any
10 statistical evidence out there that we're not. I mean
11 show me something that says we haven't improved. We
12 have improved our exposure over the years, and we're
13 very proud of it. And it almost seems like we're
14 being punished for doing a good job.

15 MR. HODGKINS: Did I -- I think I ended
16 with Mark.

17 Susanne, did you say something? You're
18 going to pass?

19 Tony.

20 MR. YUNKER: Tony Yunker, Baker Hughes, I
21 vote for no change.

22 MR. HODGKINS: Okay. Back over to Don.

23 MR. SIDES: Don Sides, Stork, no change.
24 It's not broke, don't fix it.

25 MR. HODGKINS: Leonard.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. EARLS: I'll pass at this time.

2 MR. HODGKINS: Eric.

3 DR. ROHREN: I would vote 4A no change as
4 well. Like I said before, you know, I think we need
5 the government to set hard caps above which we think
6 that there is a danger to the public, danger to the
7 workers, but, you know, I don't think it should be a
8 regulation what our ideal target should be, because
9 that's what we're doing ourselves with ALARA, is
10 setting what we think is a reasonable target for
11 radiation exposure and keeping that as low as
12 possible.

13 But I think the minute you turn it into a
14 constraint, which I think we all agree would turn into
15 a limit, you know, then we're kind of legislating the
16 ideal and not legislating what we think is true
17 safety.

18 MR. HODGKINS: Alice, you want to amplify
19 anything you said before?

20 (No audible response.)

21 MR. HODGKINS: Steve, you want to amplify
22 you said before?

23 MR. CAMPBELL: Yes, I'd like to, I'd
24 like -- even though Alice is here to observe -- don't
25 hit me --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (General laughter.)

2 MR. CAMPBELL: -- as a regulator to
3 follow up on Gayle's comment about we have, on the
4 industrial side, achieved lower dose rates and things,
5 and we've done it through when the ALARA come out, it
6 all started. You know, the adage goes you can't teach
7 an old dog new tricks, but, hey, this old dog had to
8 learn new things. And in that, you know, I've learned
9 to teach employment perspectives that, hey, this is
10 the way we do things now, and, you know, throw out an
11 example of what I used to do, just to scare the hell
12 out of them, you know.

13 But anyway, I would ask Alice if she
14 wouldn't mind commenting because she does inspections
15 and things, if she's in agreement with what I'm
16 saying, if you've seen a change in the past on dose
17 rates and doses and things, and is it still in a good
18 path or a bad path.

19 MS. ROGERS: Well, I have to agree with
20 him, I think the dose has reduced and the number of
21 incidents have reduced. In fact, I think Bob Emery
22 took our data and analyzed it and did a paper in
23 *Health Physics Journal* about how much radiography dose
24 has gone down since the mid '80s.

25 MR. HODGKINS: Okay. Ellen.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. ANDERSON: Ellen Anderson, Nuclear
2 Energy Institute. The power reactor community
3 supports the no change option for a number of reasons,
4 one of which is that since the implementation of ALARA
5 program we do have rigorous job planning in our power
6 plants, sometimes down to, you know, 50 millirem, 20
7 millirem jobs, where we actually do have dose -- not
8 only dose estimates but dose goals for each of the
9 jobs.

10 And as a result of that, you can see a
11 substantial reduction in radiation exposure at the
12 power plants in the next -- in the last 10, 15 years.

13 So we support no change.

14 MR. HODGKINS: Doris, any additional?

15 (No audible response.)

16 MR. HODGKINS: Jean?

17 MS. J. STATON: We support the no change.

18 We have the ALARA which is limiting the dosage my
19 technicians are receiving. If we keep throwing more
20 rules at them, they're just going to get disgusted
21 with it. When we have a planned special exposure, we
22 have rules for that. I think what we've got right now
23 is more than sufficient.

24 MR. HODGKINS: Okay. Wei-Hsung?

25 DR. WANG: Wei-Hsung Wang at LSU. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 support no change. I believe this current ALARA
2 program already has been very effective and we don't
3 need anything added.

4 MR. HODGKINS: Okay. Ann.

5 MS. TROXLER: I'm for the no change -- Ann
6 Troxler -- I'm for the no change option also. I think
7 industry has it under control with the ALARA program.
8 Any place I've ever inspected, they had their monthly
9 reports, they had their own specific numbers, not a
10 regulated amount.

11 And they've reviewed what their people
12 were getting against that, but also against what kind
13 of job did they do, did they do a pipeline, are they
14 x-raying a ship, what kind of curie amount was in the
15 camera that day. There's a lot more to an industrial
16 radiography job than just the camera and the person.

17 There are so many variables, you can't put
18 a number to say we're not going to go above this this
19 day, because it will change the minute you get to the
20 job. So I'm for the no change option.

21 MR. HODGKINS: John, did you want to
22 amplify anything you have said?

23 (No audible response.)

24 MR. HODGKINS: Toby?

25 (No audible response.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HODGKINS: I think we've gone around
2 the room then. Are we ready to open it up to the
3 audience? Is there any comments, amplification,
4 anything anybody wants to add? I'd love it if just
5 one person got up. There we go.

6 Your name, please.

7 (General laughter.)

8 MR. HURT: Tim Hurt with the United States
9 Navy. A couple of questions that I would ask. First
10 of all, we have limits that we have developed based on
11 a risk. Okay. What are we going to accomplish. What
12 are you going to base your constraints on? And before
13 you ask me to turn the mirror around, I'm going to say
14 to you, damned if I know. Okay.

15 The second thing is, I'll tell you we use
16 ALARA in the Navy in a unique fashion in that we
17 say -- okay, our radiographers have a 50 millirem per
18 year limit. They start out with a 50 millirem every
19 year. When they achieve 50 millirem, when they get to
20 50 millirem, the RSO has to stop and talk to the man
21 and ask him what he or she feels they can do
22 differently to reduce their exposure, keep under --
23 they also go through and evaluate how much work has
24 this person been doing, why they were doing specific
25 jobs, they ask the supervisor why they assigned this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 guy, and this guy over here has 4 millirems for the
2 year.

3 It ends up being a conversation and it's
4 not put there as a don't go above this number, which
5 is the way, and maybe I've got the wrong impression,
6 but the way the constraints that you've described,
7 that's what it sounds like to me, it's just another
8 limit. It's a trigger to get us to think. Perhaps if
9 it was approached that way, I might buy into it.

10 But quite honestly, the ALARA program that
11 we've got right now, if you're conscientious, and I
12 think most radiation safety officers are, is a
13 conscientious -- they're doing things to try to reduce
14 dose. Isn't that what we want? So that's -- 4A.

15 DR. COOL: Okay. Don't go away for a
16 second, because I will offer the reflection that there
17 are a number of ways that people have talked about the
18 picking values, but it sounds to me like the Navy has
19 picked 50 millirem and they're using it in a process
20 and a dialogue as part of their boundary and
21 understanding and taking some additional discussion
22 exactly the way that ICRP would have suggested that
23 the constraint be established and used.

24 MR. HURT: You may have -- I didn't get
25 the -- when you described it, sitting in the bleachers

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 listening, I got the impression there was just another
2 limit. Okay. I don't have a problem with saying,
3 Hey, we've picked a number to do an internal review.
4 This is a trigger number to grab the RSO and say, Hey,
5 think about stop for a moment.

6 But the way it was described, it was I'm
7 with the -- Hi, I'm with the NRC and I see that you've
8 got somebody that got up 1.99 rem and, you know, you
9 haven't taken this guy out of work, why haven't you,
10 he's going to exceed his 2R, and stop that, you're not
11 doing the right thing. There's a difference between a
12 number that says this is -- and I use 50 millirem
13 because the vast majority of our gamma radiographers
14 use 50 millirem, the command -- Navy commands to do
15 gamma radiography. We have a 30 millirem for the
16 Naval Air Stations commands that do x-ray radiography.

17 Okay.

18 We regulatorily don't say set, this is
19 your number. What we say is, You need to have
20 something that prompts your RSO to do a review, stop
21 and think. Okay. And it's really -- that's the way
22 we try to do it is be nebulous. It gives flexibility.

23 I think that if you go any further than that in the
24 regulations, then you're telling people how to be
25 flexible. That doesn't -- that's a hard one for me to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 work on, so.

2 DR. COOL: Okay. The problem with trying
3 to define options, we always have to define some
4 options to get some people to discussion, is that it
5 makes it difficult to sort it out. I believe -- and
6 I'll take off the NRC hat, I'll put on my ICRP hat for
7 the moment -- I believe that what our colleague from
8 the Navy has described is what ICRP, or at least the
9 majority of the ICRP Commission members, had in their
10 mind when they were thinking about this.

11 There needed to be some values that the
12 licensees established that helped them know when to go
13 start doing some internal checking, figuring out if
14 there's other things that can be done, some
15 improvements that need to make in other ways. Many
16 people -- wearing my ICRP hat now -- many people have
17 wanted to glom on to this and add things to it so that
18 it becomes more restrictive, more rigid, more
19 controlled in other ways.

20 That's the problem that I see with the
21 piece of the discussion. A part of what I'd like to
22 do as we continue this, and I very much appreciate
23 what you were saying, is if we back back out, do
24 people agree with that as an approach to radiation
25 protection that you're already using, and then does it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 make any sense to have that as part of the
2 requirements that you're already using so that people
3 can see that we are doing this, or to just have it as
4 a standing practice because there may places that are
5 not doing planning. I don't know whether people are
6 or not and how that works.

7 But that's part of the dialogue that we're
8 trying to create, because if there are situations
9 where people are not doing planning, then an inspector
10 coming in and saying, What are the planning criteria,
11 what do you do, that would, for me, my ICRP hat on, be
12 the question that the inspector should be asking, not,
13 Huh, the guy down the street's doing what looks to me
14 to be a similar thing is getting less dose, how come
15 you're more.

16 That's not -- my ICRP hat on -- the right
17 question. It's what do you do for planning, how do
18 you do it, you have some numbers and what do you do
19 when bump into one of those, and you're description
20 would have seemed to be very good.

21 MR. HODGKINS: Tim?

22 MR. HURT: Tim Hurt with the Navy. I
23 guess I'm cautious because I don't like putting
24 numbers on to things. I really don't. I'm trying
25 to -- the way the Navy has taken the ALARA, we turned

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it into a regulation here a while back. The way we
2 looked at that was, Okay, guys, make a conscious
3 effort to do your best and reduce exposure.

4 And so now I'm fighting with I've got x-
5 ray radiographers shooting F-18s to the tune of eight
6 hours a day, seven days a week and these guys are
7 getting zeros because of the way we've gotten them
8 doing business. When I get a zero and I turn around
9 to this RSO and I say, What's your ALARA look like,
10 Well, I looked the utilization level performance, I
11 looked at training, I looked at data, and they go
12 through -- and I say, Okay, you've done a great ALARA
13 review.

14 Does putting a number out there like 10,
15 50, 100, 2R, whatever you pick, is that number going
16 to motivate people to be more conscientious about
17 doing their work? I would -- the reason I would say
18 4A, I might consider 4B if instead of specifying
19 regulations or constraints, have the NRC come out with
20 a document, a reg guide, or a guidance document that
21 said, Here are good practices that we have identified
22 and some things to consider in ALARA -- in your ALARA
23 review, here's some help, as opposed to you'll
24 align -- we're from the NRC and we're here to help, is
25 so worn out but true.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So I don't know. It's my -- I just resist
2 the temptation. I don't like to put numbers on people
3 because I find that instead -- we've got numbers on
4 the -- like my granddaughter taking these SOLs,
5 they've got to get above this or they're not going to
6 get funding. Well, what does it do? It doesn't teach
7 her why World War I was fought and what the
8 ramifications were through history, what it does is
9 say, Remember 1917, remember 1919, remember the --
10 that's what it does, and it stops them from thinking.

11 So as opposed to using limits, I'd prefer
12 to have a conversation that encouraged thought
13 process.

14 MR. HODGKINS: Thank you, Tim.

15 Yes, Mark.

16 MR. LEDOUX: Just to add on to that, I
17 believe that the current NRC rules and new Reg 1556
18 and the new reg I was talking about yesterday, which
19 wasn't 1556, which explains 10 CFR 20 in detail, reg
20 guides -- I think there's already literature out there
21 right now that basically says the same thing that
22 you've got -- that the ICRP wants, and I don't --
23 again, I don't think you need to add anymore to that.

24 MR. HODGKINS: Anybody? Yes, Susanne.

25 DR. SAVELY: I think part of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 difficulty is there's so many different groups using
2 radioactive materials in their work in the United
3 States, and so to set a random -- or non-magical
4 number of 2 rem, which everyone could certainly design
5 around, just like we've designed around 5 rem, would
6 be doable but I think it's almost that we need
7 different constraint numbers for different industries.

8 In research and academia we hardly ever
9 bump up against two. Some of our doctors do, but in
10 medicine it's a lot more common, that it would be a
11 lot tougher to comply with a 2 rem constraint or
12 limit. So I think what industrial radiographers do is
13 so much different than what we do in research and
14 academia, it's almost impossible to come up with one
15 number.

16 And I think that way everyone's doing it
17 right now, using ALARA, I think everyone has that
18 spirit of, you know, they have some internal
19 administrative constraints already in place, most
20 folks do. I mean there are a few that are aiming for
21 the 4 rem and sometimes it's out of habit or sometimes
22 it's out of necessity that the doses are really quite
23 up there, so.

24 MR. HODGKINS: Thank you.

25 Steve.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CAMPBELL: Steve Campbell again, TC
2 Inspection. I'd be willing to wager that, for the
3 sake of numbers, at least probably 90 percent or
4 greater of licensees that are dose regulated, which
5 they all are, have a trigger number in place already
6 that Tim spoke about. I can't imagine somebody not.
7 I mean the people I know in the industry have that
8 number. It's related to them through their film batch
9 supplier, or their dosimetry suppliers, which they
10 separate it from the regular roster of folks.

11 And then secondly, when you start using
12 verbiage like shall and specify and require, that
13 tells me you're heading into making a rule instead of
14 getting away from the definition of a constraint,
15 which allows flexibility. You use those three
16 specific words, and you're headed to a rule.

17 MR. HODGKINS: Okay. Anybody else?

18 Jean.

19 MS. J. STATON: Steve's right. Most of us
20 do have a certain number that we look at and we call
21 our technicians in and we want to know the why, where,
22 how, what could you do different. So we already -- we
23 constrain ourselves. We don't need the government
24 putting more rules on us.

25 MR. HODGKINS: Gotcha.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 To the audience, and your name first,
2 please.

3 MR. SNELL: Warren Snell, Methodist
4 Hospital Research Institute. You already do this --
5 regulators do this to a certain extent in the license
6 review process, the license application process. You
7 can't get a radon controls license unless you provide
8 a set of operating and safety procedures, a radiation
9 safety manual that says you will certain things, so,
10 and that is included in the ALARA philosophy, so we're
11 already doing this to a large extent. And as several
12 speakers already said, we're already self-regulating
13 ourselves in this area.

14 It was touched upon about the inspection
15 process. This should not be to make it simpler for
16 inspectors to find a violation that we have imposed
17 upon ourselves by putting a number within, say within
18 the infamous tie down condition that we are tied to
19 that is lower than -- you know, instead of 5 rem we've
20 tied ourselves to a 2 rem limit so we've exceeded the
21 2 rem so we've become a victim of our own attempt to
22 reduce the dose and maintain safety in our facility.

23 MR. HODGKINS: Okay. Any more?

24 (No response.)

25 MR. HODGKINS: Okay. Anybody, comments?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Steve, you want to comment? Hold on, let's see if
2 they want to -- go ahead.

3 MR. CAMPBELL: Can I go ahead? This is
4 Steve again. Don't hit me, Alice --

5 (General laughter.)

6 MR. CAMPBELL: -- I'd like to reflect
7 back on the -- when the ICs were put into place. To
8 give an example, there was some verbiage in there
9 about the flexibility of licensee to do what they
10 seemed to be the responsible thing for their facility,
11 such as build a vault, whatever it happened to be, to
12 secure the sources, whether it be video, alarming the
13 facility, armed guards, yada, yada, yada.

14 But the verbiage was it was up to me to
15 determine what was best for my facility. Okay. And
16 the first rattle out of the box wasn't Alice, it was
17 another inspector comes --

18 (General laughter.)

19 MS. ROGERS: Who works for me.

20 MR. CAMPBELL: -- comes in and says -- to
21 inspect my ICs the first rattle out of the box, and
22 wasn't satisfied with what I had in place, and an NOV
23 followed, which at the time, if I'm not mistaken --
24 Alice, you can correct me on this -- the first or
25 second time through on an IC's violation since you've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 directly escalated enforcement.

2 MS. ROGERS: You did.

3 MR. CAMPBELL: You're asking the
4 regulators to put themselves in that position again
5 where I hate her when she comes around.

6 (General laughter.)

7 MR. CAMPBELL: You know, if you put that
8 constraint on me and she comes in and defines that I
9 haven't fulfilled my end of a constraint, which is a
10 broad word, and then she has the flexibility to give
11 me an NOV. That's not the intent of this, I don't
12 believe.

13 MR. HODGKINS: Did you want to add
14 anything to that?

15 MR. SNELL: Yes, I mean I guess not
16 directly on that issue, but there's always an issue of
17 trust between the regulator and the regulatee are we
18 going to do our jobs, are we going to be
19 professionals, are we educated and trained, do we care
20 about the company we work for, do we care about the
21 people that we're trying to protect. And I say in a
22 large part, obviously we do. You know, we're not --
23 most of us work under pretty severe budget restraints,
24 but we try to get what we can to expand the resources.

25 And, you know, I think in large part I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would like to say, in Texas I feel that they recognize
2 that. I have been a regulator, I worked for the
3 department, what the Bureau of Radiation Control, for
4 about seven years, so -- seven or eight years, so I
5 know, I think I know what they are trained to
6 understand and do as far as regulating within the
7 state of Texas. They are not here to drive the
8 regulated community into a position where we can't
9 operate and use radioactive materials, use the
10 radiation producing machines that we want -- we need
11 to use.

12 MR. HODGKINS: Okay. Thank you.

13 Anybody else?

14 Yes, Alice.

15 MS. ROGERS: I'm sorry, I just can't
16 not -- but I do have to keep my finger on the button
17 to respond, don't I. I really want to restate, I
18 think, that putting soft requirements in rule is a
19 mistake. You've heard from a couple of licensees that
20 this is going to create inconsistency with
21 inspections, certainly across the state, probably
22 across the nation.

23 I think after we've done enforcement
24 against a couple of you all, you know, they'll look at
25 the two or whatever their constraint number is, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 they'll start pencil whipping their records and that's
2 silly. I mean it's just there's no benefit from this.

3 We're trying to protect public health and safety, we
4 need a good firm number that we think is safe and
5 that's the one we're going with.

6 I think that dictating means and methods
7 for how people really do their jobs is a mistake.
8 Each industry is different, each company is different,
9 each individual is different.

10 MR. HODGKINS: Doris, do you want to
11 say --

12 MS. ROGERS: I guess that translates, by
13 the way, to a vote for 4A.

14 (General laughter.)

15 MR. HODGKINS: Well, you wouldn't
16 necessarily --

17 DR. COOL: But she's not saying that.

18 MR. HODGKINS: Okay. Anybody else?
19 Audience?

20 John.

21 MR. MILLER: Just one other point. You
22 know, ALARA, it raises the question how much safer can
23 we make safe. You know, I mean we can all agree let
24 the limits, as they are right now, we have a safe work
25 environment. So licensees' ALARA programs ensure that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the licensee is not going to exceed those limits. It
2 definitely does that, and that's why I'm certain that
3 every licensee has a constraint, because they don't
4 want to exceed the limit.

5 It also reminds the worker that -- you
6 know, to keep on top of things. You know, I can't
7 tell you how much safer the work is going to be by
8 going from 2 rem to 1 rem to 50 millirem to 30
9 millirem. I mean those numbers are negligible. But
10 the importance is, one, we are ensuring that we in
11 compliance with what the hard limit is, and we keep
12 that work environment -- it constantly reminds the
13 employee that they're working with hazardous material
14 and they've got to keep on their toes.

15 MR. HODGKINS: Okay. Any other questions,
16 comments, concerns?

17 Yes, we have one more coming to the
18 table -- to the microphone I mean. You can come to
19 the table.

20 Your name first.

21 MR. ANDERSON: My name is Lloyd Anderson
22 with High Tech Testing. And I just wanted to add to
23 what has already been said; Alice really addressed it
24 pretty good. The constraints would need -- if you
25 decide a number, to make that number a viable number,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you're not only going to have to look at the different
2 types of licensees, you'll have to look at the
3 different types of licenses within those groups.

4 Just for instance, if you have a company
5 that does field radiography versus a company that does
6 shielded room radiography, they both have industrial
7 licenses. It wouldn't be a -- how would you put a
8 number for industrial radiography that would be fair
9 and equitable to both of those entities. I don't
10 believe you can do it.

11 ALARA already takes into account the
12 differences in the way that different companies
13 operate and the methods that they have. And I don't
14 think we need to change from what we're doing right
15 now. So my vote is for 4A, no change.

16 MR. HODGKINS: Thank you.

17 Anybody else?

18 Yes, Mark.

19 MR. LEDOUX: Mark Ledoux. The discussion
20 we're having right now about ALARA and robust program,
21 I just bring that back to the discussion we had
22 yesterday about the 5 rem, 2 rem. A little off bases,
23 but that's another reason why we don't need to change
24 the rules because everybody's got a good program,
25 everybody's doing a good job on that rule, so.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HODGKINS: Okay. Steve -- Roger's on
2 the mike.

3 (General laughter.)

4 MR. PEDERSON: I'll stand over here so I'm
5 not behind you.

6 Yes, Roger Pederson, NRC. I'd just like
7 to point out that there's actually two questions in
8 play here. One is whether it's appropriate for the
9 NRC to require that people put constraints into place
10 in general, and if you interpret the ICRP
11 recommendation the way Don did, which is that a
12 constraint is just a general trigger point like the
13 Navy has established, and it sounds like most of you
14 have established, then the answer I hear from that is
15 that putting a requirement in place doesn't actually
16 have any value added, that you're already doing that,
17 and so there's no real benefit for that.

18 The other question, however, is 4C, and
19 it's not up on the board, is given that constraints
20 have some flexibility, whether it would be appropriate
21 to use a constraint to provide some assurance that
22 doses wouldn't exceed more than 2 rem on average over
23 some averaging period, as opposed to putting a hard
24 limit as was mentioned earlier.

25 Rather than having a hard limit at 2 rem

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 per year, which a number of countries have put into
2 place, the proposal was floated in previous meetings,
3 which I think is what we're trying to generate a
4 discussion on, whether it would be more appropriate to
5 put something more flexible like a constraint in place
6 at 2 rem that would require you to do something, and
7 again, if that something was as little as additional
8 counseling, to try to ensure that that individual,
9 over the long run, stayed below an average of 2 rem as
10 opposed to having a hard 2 rem per year limit in
11 place.

12 Now, in that case, that's a little
13 different spin on what a constraint is there for. And
14 I guess I really haven't heard, other than a no change
15 vote, I really haven't heard a discussion as to
16 whether that would be more preferable than a 2 rem per
17 year limit, or even a 10 rem over five year limit.

18 MR. HODGKINS: John.

19 MR. MILLER: Yes, I think if something
20 like 4C went into place, what you'd end up seeing is a
21 constraint against the constraint.

22 DR. COOL: Would you like to elaborate on
23 that a little?

24 MR. MILLER: Again, it isn't going to make
25 the work place any safer, you're to going to be able

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to measure any real value. The only reason you would
2 see a constraint against the constraint is so that the
3 licensee can ensure and feel confident that he's going
4 to be compliant with the regulation. You know, I mean
5 that's what I would be thinking.

6 MR. HODGKINS: Laurie.

7 MS. MCGOWEN: Laurie McGowen with Lamco.
8 I think if you put a constraint in, then as the
9 industry changes, sometimes you're busy, sometimes
10 we're not, and sometimes, you know, then when can we
11 change the constraint? Because maybe this year I
12 could get my people to stay at 2R because we're not
13 real busy, so I put a constraint of a higher number,
14 and then next year the bottom falls out and we're
15 blowing and going, can I change my constraint, or do I
16 need you all's permission to change my constraint, and
17 then you all are going to want to know why I changed
18 my constraint.

19 MR. HODGKINS: Eric.

20 DR. ROHREN: I was just going back to the
21 discussion yesterday. I mean I think we all failed to
22 be convinced that there was a substantial safety
23 benefit by lowering the limit from five to two. That
24 being the case, if you put a constraint at two and I
25 have people in my medical facility that are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 consistently pushing or going over that 2 rem limit,
2 functionally, I don't see how that's different than
3 having a hard cap at two.

4 You know, I can bring that interventional
5 cardiologist in and say, Look, you exceeded 2 rem
6 again, you know, how am I going to counsel that person
7 you need to do shorter procedures, you need to take
8 care of fewer patients. You know, that person, by
9 nature of what they do, is consistently going to be
10 over that limit.

11 So a constraint is fine as a target, but
12 once you put it in writing like that, it does turn
13 into a goal that essentially morphs into a limit that
14 repeated violations obviously are going to raise red
15 flags. And so what do we do with that person that
16 approaches that limit or exceeds that limit on a
17 regular basis because of what they do? And I don't
18 think that their behavior in that setting is putting
19 them at increased risk compared to what we have now
20 with the 4 rem limit.

21 So, you know, I just see that problems --
22 and again, getting back to the issue of if it's not
23 broken, don't fix it. You can say we all have
24 programs in place, that we target certain levels that
25 raise alarm bells and we bring that person in and try

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to counsel them. If we're already doing that anyway,
2 I don't see that we would benefit from having a
3 regulation that requires additional paperwork to
4 assure that we're complying with that.

5 Implicit in all of this is the R in ALARA.

6 You know, it's reasonable, what's reasonable, and
7 we've touched on it before, John said it, you know,
8 what's reasonable for the Navy may not be reasonable
9 for a smaller company, may not be reasonable for
10 Mark's company. You know, each company has to make
11 decisions based on their resources about what is a
12 reasonable target for them to achieve.

13 And ALARA takes that into account. Once
14 you start getting into 4B and 4C, you take away that R
15 and have the government start to say, you know, here's
16 what your target should be regardless of what you
17 consider the reasonable factor.

18 MR. HODGKINS: Roger, did you want to
19 add --

20 MR. PEDERSON: Yes, I'm still mystified by
21 the constraint on a constraint concept. Are you
22 saying that if there is a 2 rem constraint in the
23 regulation, then people would put additional
24 constraints on their own operation so that they never
25 got to that constraint, is that --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. ROHREN: Yes. Yes.

2 MR. HODGKINS: Okay. And then, Leonard,
3 you were nodding ferociously.

4 MR. EARLS: This Leonard Earls. I didn't
5 comment earlier because I know at my facility we do
6 extensive planning, we have all kinds of constraints,
7 to use the term of the day, in place regarding dose
8 per entry for a particular job, depending on the
9 radiation work permit. We have administrative --
10 well, we call them administrative action levels,
11 they're limits per se, but if you get to this point,
12 you have to jump through other hoops to go above that
13 point, and I think that's what our friend from the
14 Navy was talking about.

15 So in concept I think we all implement
16 constraints, is what I've heard this morning. As far
17 as a given number, you can't do that industry-wide
18 reasonably, and I'm talking -- I'm not talking about
19 nuclear power industry, I'm talking about the
20 industrial radiography, the medical byproduct
21 licensees, academia.

22 Setting a 2 rem number on an individual's
23 dose for a year as a constraint is probably not
24 practical in an industrial radiography setting, and
25 I'm going to speak a little bit out of ignorance here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I suspect there are industrial radiographers that
2 jump from company to company depending on who's
3 working right now. Laurie can probably control what
4 she gives the individual, but she can't control what
5 he's going to get after he leaves her, or before he
6 came in.

7 And it makes it very difficult to set a
8 number on an individual's dose that is a constraint.
9 Now if it's a hard limit, she has to control it. But
10 a constraint is essentially only for the facility that
11 the person is working at, at the time.

12 MR. HODGKINS: Okay. Ellen.

13 MS. ANDERSON: Ellen Anderson, NEI. I'd
14 like to add to what Leonard just said. In the
15 commercial power plant community we have refueling
16 outages and we have transient workers who go from
17 plant to plant to plant. And I can see this now, if
18 we had -- if that person brought with them a 2 rem per
19 year constraint, they come to my facility -- and
20 again, having been a radiation protection manager, I
21 understand this -- bring them to the facility, he's
22 sitting at 1.8 for the year, I take him over 2, I've
23 got something to do to -- I'd be responsible to do
24 something about his dose when in practicality I didn't
25 give him all that dose.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So the bottom line is, I'm not sure how we
2 could do that from a licensee perspective when our own
3 power plants, our own licensees we could do something
4 like that, but we do have this transient population
5 that we have to address, and I'm not sure we can do it
6 in a practical manner.

7 MR. HODGKINS: Yes, Susanne.

8 DR. SAVELY: Well, looking at the field of
9 medicine, you have a prominent radiologist much in
10 demand. They start cranking up towards 2 rem.
11 They're salaried, they're not hourly; you can't lay
12 them off. I don't know how we would handle that
13 administratively. So they get to September and they
14 don't do any more procedures for the rest of the year?
15 Their schedules moves back till January? I don't --
16 I just -- I don't know how we would handle that, other
17 than to redesign how they scheduled.

18 MR. HODGKINS: Okay. Yes, Don.

19 MR. SIDES: Don Sides, Stork. I'm
20 thinking more -- I like the term target better than a
21 constraint. I'm thinking that maybe we should target
22 2 rem a year and try to keep everybody under that, but
23 still have the 5 rem max. That would be a whole lot
24 easier than to have a cold set -- I think I just like
25 the term target better.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HODGKINS: Okay. Anybody else from --
2 oh, come on. Don't be shy.

3 MS. JONES: Cathy Jones, Service and
4 Compliance. And again, I appreciate the
5 thoughtfulness about the medical community, and the
6 things that the good doctor said were right on. But
7 something else we need to think about as far as the
8 regulatory agencies. If we were to, say, shoot for 2
9 rem instead of 5 rem, what does that -- then we're
10 submitting license applications with shielding
11 calculations, or shielding calculations for radiology
12 or whatever. Let's say you have a PET facility and
13 everything has been submitted and approved that your
14 restricted areas are going to keep restricted
15 personnel below 5 rem, then even though this is not --
16 this is just sort of fuzzy 2 rem number, the next time
17 you start submitting PET applications, are you going
18 to have to do shielding for 2 rem because we put that
19 number in there?

20 And then what about when existing
21 facilities come up for renewal, it's just like every
22 10 years we pretty much have to scrap everything and
23 resubmit, justify everything again, and redo
24 calculations, and they -- and then -- and we have
25 existing facilities that have been shielded for 5 rem

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 restricted areas. And I just see a potential for a
2 lot of aggravation, cost, confusion in the field, and
3 a lot of expense, a lot of additional expense for what
4 good?

5 And that's why I would say no change. I
6 think people are doing a very good job. And I know
7 when I do shielding calculations, for instance for
8 PET, I'm always very conservative. I got caught one
9 time doing shielding calculations for a facility when
10 they said, Oh, probably we're going to be max eight
11 PETs a day, and they ended up doing 12. Well, the
12 calculations for 12 didn't work for eight, and we had
13 to go back in and reshield. It was very expensive.

14 Fortunately they didn't fire me. They
15 realized that we were all doing the best we could at
16 the time, and I was real glad that they were very
17 busy. But it does make an awful lot of difference in
18 cost and thought process, and then again, back to that
19 thing, if you put in that number of 2 rem, what's that
20 going to do at renewal time to additional expenses to
21 more shielding because we're not at 2 rem, we're at 5,
22 and, you know, we based everything on 5 rem.

23 So I think it really needs to be thought
24 through very carefully because everybody has done a
25 lot of work based on that 5 rem unit, and if we don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have any good science to tell us, you know, again,
2 because the international community jumps off the
3 cliff, do we really have to do that, and do we really
4 want to take on that additional burden?

5 MR. HODGKINS: Panelists? Alice.

6 MS. ROGERS: I just want to point out that
7 we were talking about unintended consequences
8 yesterday, and an unintended consequence that's not in
9 NRC's jurisdiction at all is that these protection
10 standards will spill over in many states to become the
11 protection standards for x-ray facilities as well. So
12 her comment about the extra expense of shielding and
13 everything goes into a whole huge number of
14 registrants that you guys don't even have jurisdiction
15 over.

16 MR. HODGKINS: Okay. Anybody else?
17 Panel -- yes.

18 DR. WANG: Wei-Hsung Wang. And, Don, may
19 I ask two questions? The first one is do we view
20 ALARA as comparable with the basic safety standards
21 adopted by IAEA and EU? And the second question is,
22 the option 4C requiring numerical value for a
23 licensee, who determines that numerical value?

24 DR. COOL: Okay. The answer to the first
25 question, our requirement for licensees is to reduce

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 exposure as low as reasonably achievable is seen as
2 being the general equivalent of IAEA requiring
3 licensees to optimize, or subject their exposures to
4 the process of optimization, or whatever the
5 phraseology ends up being. So, yes, at a macroscopic
6 level with little bits of details perhaps.

7 The second question, who sets the number.

8 Well, that's part of what this dialogue would be
9 about, if people thought that there was a value to
10 having a numeric value. The 2 rem number is up there
11 because it has been previously suggested that this
12 might be a less restrictive alternative to setting up
13 a comparability with international standards,
14 international activities, people doing international
15 trade and other sorts of things.

16 So that too came in as an example because
17 of the dose limit recommendation for an average. It
18 doesn't need to -- mean it to need to be that number.

19 That's set there as an example for that particular
20 reason, that we're open to suggestions.

21 MR. HODGKINS: Yes, Steve.

22 MR. CAMPBELL: Yes, it's Steve again. On
23 4C you just mentioned that that number is just out
24 there kind of floating around. Correct? 4C has
25 that --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. COOL: That rule number?

2 MR. CAMPBELL: Yes.

3 DR. COOL: That one right there. Okay.

4 MR. CAMPBELL: Yes, it's that floating
5 around. 4C has that dreaded word in it twice in the
6 first three sentences, requirements and require.
7 You're going to a rule again, instead of just what you
8 said, a number floating out there as a number to use.
9 You're going to a rule.

10 MR. HODGKINS: Anybody else?

11 (No response.)

12 MR. HODGKINS: Audience?

13 (No response.)

14 MR. HODGKINS: Tell you what, before we go
15 on to the questions, we'll take a 15 minute break.
16 We're a little over time as far as when we were
17 supposed to do that. It is 10:20, so we will be back
18 at 10:35.

19 (Whereupon, a short recess was taken.)

20 MR. HODGKINS: All right. I think we will
21 start with the questions then, Don?

22 DR. COOL: Yes. Okay. So welcome back.
23 The questions are not intended to reagravate the
24 previous positions or suggest that we weren't in any
25 way listening, but rather as an opportunity to check

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 if there's any additional use and thoughts about some
2 of the key things that we will need to develop and
3 eventually present to Commissioners.

4 So the first one, significant benefits and
5 impacts to imposing constraints as part of the
6 licensee's program. And what you've already said is
7 that most of you do planning, that most of you have
8 some sorts of criteria, have -- we didn't actually go
9 around and see whether or not you were going to win
10 your bet or not, but that's okay, in terms of the
11 group doing it.

12 So there is at one level a view that you
13 already do the things that ICRP has suggested
14 constraints were intended for, but that there are lots
15 of downsides when they become ensconced in a
16 regulation. And, yes, we're talking about whether or
17 not we're going to do rule making, whether or not this
18 becomes something that would be part of a rule making
19 or not. So the words had to say those magic words.

20 So I would open it up to any additional
21 views and thoughts on any of those benefits and
22 impacts. And as Roger pointed out, and I think that
23 was probably useful, there are several different
24 levels to this question, and the numeric part of it is
25 only one piece of it, and maybe a piece that we never

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would get to because there are yet more negatives that
2 you've already described for each of the sorts of --
3 kinds of things.

4 But the first one is just the idea of
5 having values that you use for yourself as part of
6 your ALARA program. I'd like to construct it in that
7 way.

8 Dan?

9 MR. CAMPBELL: Steve with TC Inspection.
10 I'd like to -- if Roger doesn't mind, we just had a
11 little conversation back there, could you, for the
12 audience, Roger, the constraints you mentioned, could
13 you define that the way ICRP looked at it, just for
14 the audience?

15 MR. PEDERSON: Okay.

16 DR. COOL: No, he didn't say that.

17 MALE VOICE: Oh.

18 (General laughter.)

19 MR. PEDERSON: Yes, there's a little bar
20 over here that's -- Roger Pederson, NRC. I think what
21 Steve is referring to is the ICRP actually uses the
22 term constraint in a couple of different ways. One of
23 them is this level at which you have to do something,
24 which is fairly consistent with the definition that we
25 currently have in our regulation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Now that becomes important or not
2 important depending on what you have once you reach
3 that level. And I think that's the way we're trying
4 to use the term constraint in this proposal that we're
5 asking for comments on about having a constraint at
6 say 2 rem that you have to do something to ensure that
7 over the long run someone doesn't get more dose than
8 is deemed appropriate.

9 The ICRP also uses the term constraint as
10 a tool in your ALARA program to spread the dose out
11 amongst your work force, or to spread the dose amongst
12 the exposed individuals, whether that's occupational
13 or public. They're concerned and they articulated in
14 the document, in one of those three, that a small
15 percentage of the population shouldn't take all the
16 risk, and a larger percentage of the population gets
17 the benefit.

18 So as I've heard some people are more
19 efficient at their job, they get the hot jobs, they get
20 more exposure than other people that you have working
21 for you. What I pointed out in our little side bar is
22 that that's not what we're talking about here. I
23 don't believe the NRC is proposing to use, or to put
24 constraints in the regulation to spread dose.

25 That topic actually came up back in 1990

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 when we put the requirement for ALARA in the
2 regulation. And I think the NRC's position, and I
3 can't really speak for the entire Commission, but I
4 think the current position is that we allow the
5 licensees and the employee to work that out either
6 through a union or through some employee concern
7 program.

8 There's another connotation to the term
9 constraint and it has to do more with public dose, and
10 that is that -- another way and ICRP uses the term
11 constraint I should say -- and that's to ensure that
12 an individual member of the public doesn't get more
13 than 100 millirem, that you would put a constraint on
14 different sources of radiation. If that member of the
15 public was exposed to two or three different sources
16 of radiation, you'd put a constraint on each of those
17 sources so that they didn't add up to more than 100
18 millirem.

19 Now that's not what we've been talking
20 about here, but that might be more appropriate for
21 when we talk about public dose, you know, dose limits
22 to members of the public. I don't think we are -- I
23 don't -- well, actually the constraint that we
24 actually have in the regulation that Don pointed out,
25 that 10 millirem, kind of looks a little more like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that kind of a constraint. But that's -- you know,
2 we're not debating whether that 10 millirem should be
3 in the regulation or not.

4 MR. HODGKINS: Steve, did he give what you
5 wanted to hear?

6 MR. CAMPBELL: Yes, just because it struck
7 me the way he defined to me. And I was talking with
8 Jean, I'm also involved -- I'm involved heavily with
9 the radiation safety part, but I'm also involved as an
10 operations individual in industrial. Okay.

11 And when he mentioned constraints and the
12 way they looked at it about spreading the dose, I put
13 it to Roger like this, I'm going to find a horse, I'm
14 going to saddle him up and ride him. Okay. And he's
15 probably going to get more radiation than an
16 individual -- because I had a job that had to be
17 completed in a certain time frame, and the industrial
18 people know what I'm talking about.

19 And it's not impossible for -- as an
20 operations person to say, When I catch that flag that
21 I've got in my radiation protection program that
22 targets an individual as being up in here in May for
23 instance, well, as an operations guy, I have the
24 responsibility to make the adjustments within my
25 operation to take care of that individual, of course,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 school him and all that, but to replace him or move
2 him around or put another as qualified individual with
3 him and start sharing the dose. That's achievable
4 there.

5 MR. HODGKINS: Okay. Panelists?

6 (No response.)

7 MR. HODGKINS: Audience?

8 (No response.)

9 MR. CAMPBELL: Just one other comment, it
10 would -- excuse me, it'd probably be harder for the
11 medical industry to spread that, because like Eric was
12 talking about, you've got that heart surgeon that's,
13 you know, well renowned over the world, this, that,
14 and the other, that would be an impact on your people,
15 I'm sure.

16 MR. HODGKINS: Go ahead, Tim.

17 MR. HURT: Tim Hurt. I noticed earlier
18 that the word constraints is plural, but we've
19 bantered about 2R pretty vigorously. Sorry that I
20 haven't read in depth because it's only about a ream
21 and a half of paper, the ICRP 103. I did print it;
22 what a mistake that was.

23 What additional constraints, other than
24 that 2 rem, does the ICRP look at? What else are
25 they -- do they recommend we have constraints on?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. COOL: Okay. That's a good question.
2 ICRP doesn't actually have a 2 rem constraint. The
3 question of applying a particular number was a
4 suggestion that's come up in the previous discussion.

5 What ICRP suggests is that you establish
6 planning values and, just as several folks have
7 mentioned here, as in the power industry, there may be
8 lots of different numbers with each of the different
9 kinds of jobs and activities, hence their use of the
10 word plural, as I understood it.

11 MALE VOICE: (Away from microphone).

12 DR. COOL: And we're not -- I do not
13 believe -- and I'm going to put my ICRP hat on --

14 MR. HODGKINS: Don, can you just repeat
15 the question, because he wasn't at the microphone.

16 DR. COOL: Okay. The question, because he
17 wasn't at the microphone, was whether this was similar
18 to the derived air concentrations, annual limits of
19 input, the DACs and ALIs.

20 And with my ICRP hat on, I would say, no,
21 it's not a numerical value used to demonstrate
22 compliance because it's easier to measure.

23 It's rather, I think, from ICRP's
24 perspective, some criteria that you might set, it
25 might be in dose, it might be in air concentration or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 something else I suppose, but it's something that you
2 set in planning based on whatever information that you
3 have about the job situation, the surveys, the number
4 of shots, the size of your source, all of those sorts
5 of things to understand what your expectation would be
6 for the kinds of dose and whether there's any things
7 that could be done in advance to further improve that
8 as part of your planning process up front.

9 MR. HODGKINS: Okay. Any other audience
10 members want to echo, amplify? You just want to stand
11 up at the mike and say something?

12 Yes, Eric.

13 DR. ROHREN: This is Eric Rohren, Society
14 of Nuclear Medicine. I'll make a quick comment on
15 this that, you know, are there any anticipated
16 benefits. Well, I think we, like most people, are
17 already -- already have programs in place with targets
18 for what our exposure rates are going to be that are
19 below the hard cap of 5 rem per year. So I don't see
20 a benefit by legislating what's already taking place.

21 I think that the detriment would be additional
22 paperwork and additional oversight for a process that
23 already is working pretty well.

24 You know, we don't have the portability
25 that I've heard reflected in some of the industry

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 comments. Our workers tend to be those that have
2 trained and gotten into the position and generally
3 excel and advance based on their degree of expertise.

4 So we can't just change out people based on
5 availability in the workforce in general. Those stuck
6 with the higher exposure are those that are doing so
7 because they're good at what they do and are necessary
8 for patient care.

9 So I think it's going to put us into a
10 position once you start having these constraints,
11 caps, whatever, you know, recommended levels, whatever
12 you want to term them, it's going to put us in the
13 position that there are certain scenarios in the
14 medical field where we will consistently be coming up
15 against these without a recourse and without really a
16 good plan for how to address that, apart from what
17 we're already doing with ALARA; that is, you know, are
18 there any reasonable steps we can make -- we can take
19 to assure that that dose is as low as we can
20 reasonably expect.

21 MR. HODGKINS: Okay. Come on up. Name
22 first. Okay?

23 MR. LANIER: Norm Lanier, Traceco. I must
24 apologize. I left about two hours early yesterday, I
25 had to take care of some business. But I guess I must

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have missed something because it seemed like yesterday
2 we talked about just 2R and 2R, and I thought it was
3 pretty much an agreement around here. I don't think
4 anybody's hands went up saying, We buy into the 2R.
5 And now we talk today about constraints, which I don't
6 like to use the word constraints; I like to use the
7 word maybe recommended action levels. But we set our
8 own levels that won't be a citable offense.

9 But I then I listened to Don just say
10 something about when the gentleman asked about ICRP's
11 requirements about restraints, and I think, Don, you
12 commented though ICRP don't say anything about the 2R
13 restraints. And I think that Roger keeps bringing up
14 the 2R.

15 It seems like this 2R is being bounced
16 around again and again and again, almost like it's
17 been discussed in the bowels of the NRC for some time
18 so that three or four years from now they can come
19 back and say, Well, yes, I remember we talked about
20 that back 2010, and this is just the way it is.

21 And I think sometimes this 2R level, from
22 what I understand, is sort of set by this, well, we
23 wanted to keep it now to 100 rems per individual's
24 life time over 50 years. Well, I don't know about you
25 all, but I don't know very many 68 year old, assuming

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 they started at 18, 68 year old industrial
2 radiographers out there still taking a pill and
3 getting exposure.

4 So if we had to sit on a lifetime level, I
5 don't have a problem with the 100 rems a year, but I'd
6 rather see it backed off 100 rems over 25 years. I
7 know there may be a few dinosaur RSOs in this business
8 in here, but I doubt seriously any of you all are
9 picking up any exposure today. I know I started back
10 about almost 40 years ago and I received most all my
11 exposure going out as a hot cell operator, and I got a
12 pretty good dose back in the '70s.

13 But as I went up, you know, after I got
14 into being a full-time RSO, my level -- I ain't got
15 any exposure at all. My level just totally dropped
16 off. So I think most people's exposures can get
17 within hopefully after about 20 years in this business
18 you've worked yourself up into a position, maybe
19 you're behind a desk or something like that, or you're
20 in the room right here, because we're talking about
21 people's exposure that's not in here today.

22 It's all of our workers out there in the
23 field right now making the money that allows us to be
24 here to talk about their fate. And so I think that,
25 you know -- and there's nothing that says we've got to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 go to 2 rems a year. If we want to set it back now,
2 we're going to set ourselves -- we're saying -- well,
3 let's figure 20, 25 year average dose of 100. Why not
4 make it 4 rems.

5 That gives four people -- that gives
6 people a 20-year occupational dose limit, or 25-year
7 occupational working, God forbid they're working 25
8 years in this industry still cranking a pill or
9 something, at 4 rems a year, and that's pretty
10 reasonable.

11 But I just feel like that this 2 rems
12 keeps bouncing around, bouncing around, here it comes,
13 folks, you know, bear and grin it. Thank God I'm
14 going to be out of it. Being here today is part of my
15 retirement plan to let me know how -- like many of you
16 all, I'm not going to see this, other people are,
17 but -- and I think this is developed -- you know, I
18 think our -- the information that we got for all of
19 our doses are going down, they've gone down a lot from
20 when I was in industrial radiography for sure. Better
21 equipment and you want dose information, go to people
22 like Landauer, stuff like that, look at their, you
23 know, look at their records.

24 And I'm just afraid the direction we're
25 going in, and like going back to the constraints

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 business, I have no problem with action levels. I
2 know Canada, they tried to get us to do action levels,
3 and that's the level that we set ourselves.

4 We say, well, an individual gets over --
5 you know, if you have 5 rems a year, let's say my
6 action level is going to be 25 rems -- or 2500
7 millirems per year, so based on that and quarterly --
8 on monthly badges, if I've got an individual that
9 exceeds 1 to 200 millirems a month, I sit him down and
10 talk to him. But I don't want it to be a citable
11 offense. Because I go back to the tie down clause.
12 You put something in a tie down clause, that's a
13 citable offense, you know, but.

14 MR. HODGKINS: Thank you.

15 Any reactions, comments, Panelists?

16 Yes, Don.

17 MR. SIDES: Don Sides, Stork. I am a
18 working radiographer. I still get some radiation. In
19 our organization, once you move up to a certain
20 management level, everybody wears at least two hats.
21 So I still shoot. I don't get the radiation I used
22 to. Most of my work now is with x-ray tube, however,
23 I do a large part of the cobalt work in there, because
24 I like those gravy long shots, I get some break time.

25 But -- and I have a radiographer that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 been doing this 50 years. He's still cranking a pill,
2 when he remembers.

3 (General laughter.)

4 MR. SIDES: But, agreed, the 2R thing,
5 we're beating it to death. You know, we all have to
6 realize sooner or later, unfortunately it's probably
7 going to happen, we don't have to like it, but I think
8 we're just going to have to deal with it. Hopefully
9 common sense will take over and we won't have it, but
10 who knows.

11 MR. HODGKINS: Panelists? Roger.

12 MR. PEDERSON: The purpose of this meeting
13 isn't to debate, it's for us to get information from
14 you all. But I would like to address the implication
15 that we've already got our minds made up on 2R
16 somehow, some way, and that this is just for show, and
17 that's not what's going on here. We really do want
18 your opinions and the perspective as to how, you know,
19 different things might impact you.

20 The reason I think we keep going back to
21 this 2R is that the NRC is required by legislation to
22 ensure that the industries out there provide adequate
23 health and safety to the workers and the public. What
24 does that mean, what's adequate protection? We've
25 used the ICRP as that standard for years, you know,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 what their recommendations are.

2 So the ICRP made this change to a lower
3 dose limit more than 10 years ago; 1990 actually, it's
4 quite a bit more than 10 years ago. And you're right,
5 that question has come up over the last number of
6 years continually, why haven't we lowered the dose
7 limit to 2 rem per year.

8 So we're trying to collect information,
9 arguments on both sides of that issue, because we
10 are -- the NRC is going to have to address that
11 eventually, and in the near future why we did or we
12 didn't change the dose limit.

13 MR. HODGKINS: Ellen.

14 MS. ANDERSON: Ellen Anderson from the
15 Nuclear Energy Institute. I believe that our
16 community, as probably as well as the other
17 communities, would accept a 2 rem per year if, in
18 fact, there was -- ICRP provided us with scientific
19 basis for that decision. All of us are concerned
20 about public health and safety, that's why we're in
21 the business that we do, that we're in now. However,
22 if there is no scientific basis behind it, there's no
23 reason to make a change.

24 The 2 rem could be 3 rem, it could be 1
25 rem. We don't know what that is because there is --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the ICRP has not provided a scientific basis for that
2 number.

3 MR. HODGKINS: Echo? Amplification?
4 John.

5 MR. MILLER: Yes, this is a very
6 simplistic analogy, but we could always ask ourselves
7 how much slower than the speed limit do we drive and
8 when we approach the curve in the road and it tells
9 you to slow down to 35, do we slow down to 25 because
10 the potential of, you know, sliding off of that road
11 is reduced when you're at 25 millirem -- or
12 millirem -- miles per hour.

13 (General laughter.)

14 MR. MILLER: You know, the HP in me. But
15 you know where I'm getting at. It's like how much
16 safer can safe be made? You know, it gets to a point
17 where you're trying to do something that really has no
18 measurable benefit. And so why go down that path?
19 Why go down that windy road?

20 MR. HODGKINS: Anybody else?

21 (No response.)

22 MR. HODGKINS: We're moving on question
23 number two.

24 DR. COOL: Which had to do more
25 specifically with any thoughts related to inspection,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 compliance, reporting. As I know that what's in the
2 reg today for the airborne effluents requires a
3 report, there is nothing that would suggest that that
4 would have to be done for other things, so that was
5 part of the description process.

6 And please also recognize, and I'll
7 reiterate what Roger said, there has not been any
8 decisions made. I'm very serious about that. You
9 have to frame questions in such a way that you can get
10 the underlying data. So this is your opportunity, if
11 there are any other inspection issues. Alice has said
12 a couple of times that she sort of favors squishy
13 regs, is I think what you said. I'm not quite sure
14 about that and now is the time to elaborate.

15 MS. ROGERS: A very clever way to force me
16 to talk.

17 (General laughter.)

18 MS. ROGERS: Alice Rogers, Texas. Soft
19 regs is what I called them. I'm very concerned if you
20 have -- if you put in the regs a 2 millirem level at
21 which a licensee must do something, that after we've
22 enforced against a couple of them for doing nothing,
23 that they'll start pencil whipping their records.

24 And this is not true for you well-heeled,
25 well-resourced industries, but for some of the smaller

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 businesses I'm very concerned about that. It's the
2 forcing -- it's the requiring people to do something,
3 but don't really know what the something is that is so
4 difficult, and really not very protective.

5 And then just to flat out answer your
6 question, for I think it was 4A no change, then the
7 answer is no, and for other two the answer is yes, all
8 those things will have to be changed, training, forms,
9 all that.

10 MR. HODGKINS: Echos, responses,
11 contradictions, amplifications, ideas?

12 MR. EARLS: Don, this is Leonard Earls.
13 The issue partly comes down to how any constraint
14 would be inspected. I know in the nuclear power arena
15 we have what's called NRC cornerstone things, would
16 missing a constraint value be a cornerstone hit, as we
17 call it. And reporting to the NRC when, well, I
18 planned it for X and I got X plus 5 percent, so I've
19 got to tell the NRC now. I can see that being what I
20 would consider onerous.

21 MR. HODGKINS: Okay. Steve.

22 MR. CAMPBELL: I'd like to ask Don a
23 question on this question, a little clarification, the
24 reporting. Who are you -- who is the question asking
25 him to report to, the NRC or the agreement state

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 authorities?

2 DR. COOL: It would be -- if such a
3 requirement were put in place, it would be reporting
4 to whoever your regulatory authority was. So since
5 you keep elbowing Alice, I suppose that it would have
6 be reporting to Alice. For our gentleman in the Navy
7 who'd be reporting to us probably.

8 MR. CAMPBELL: Which I would ask Alice,
9 and I'm sure she'd be in agreement, that would be an
10 impact. The regulators up there to first off get the
11 paperwork, and find out where they're going to put it,
12 what they're going to do with it. And for the NRC I
13 could see an impact.

14 I don't know if you're, Don, when the ICs
15 come out or heard, but when we initially did the
16 fingerprinting, I talked to a lady in Washington, DC
17 twice. They had rooms the size of this hotel full of
18 fingerprint cards. We're over indemnificated,
19 whatever, overwhelmed with fingerprints cards that
20 were never anticipated to be like that. And it took
21 months to get something back on your individuals.

22 Now in Alice's case, I can see something
23 where we put this target in place and if you're asking
24 us to report it, and their regulators are short handed
25 as it is because the states are under-funded, so now

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 they're swimming in paperwork, now you're swimming in
2 the back log, and that would be hard to regulate, very
3 difficult to regulate because she'd be on the road all
4 over the state of Texas four days a week.

5 MR. HODGKINS: Laurie, any comment?

6 (No audible response.)

7 MR. HODGKINS: Toby.

8 MR. HEAD: Toby Head, H&H. I've got a
9 question for Ann or Alice, what would the benefit of
10 reporting be, what would you all do with it? What
11 would be the difference from reporting over 2 MR to R
12 versus 5?

13 MS. ROGERS: I asked Don yesterday how --
14 some similar question was reflected in his agencies
15 emphasis on performance based inspections. The way we
16 do inspections right now, you wouldn't be reporting to
17 us unless you bumped your 5 rem. However, we would
18 want to see these records upon inspection.

19 Again, it's a -- this is soft -- if you're
20 talking about what would happen if you went over the
21 two constraints, this is a soft requirement and I
22 don't think that we, unless NRC made it an item of
23 compatibility, would make you report it directly to
24 central office.

25 MR. HODGKINS: Ann?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. TROXLER: Ann Troxler, and that's the
2 same answer for us. Just like we go in now and look
3 at what your numbers are and when you go and
4 investigate and retrain and do all the other things
5 you do. We don't want a copy of it.

6 MR. HODGKINS: Anybody?

7 (No response.)

8 MR. HODGKINS: Audience? Yes, come on up.

9 MR. KIRK: Good morning, Scott Kirk, Waste
10 Control Specialists. I would go back to the air
11 emission constraints. Now there is a, as you had
12 mentioned, 10 millirem per year air emission
13 constraint, which is in Part 20. And if I recall
14 correctly, and correct me if I'm wrong too, I think
15 the provision is, if you exceed that 10 millirem
16 constraint, you still have a requirement that you
17 report it, but more importantly there's also a
18 statement in Part 20 that I think says that you also
19 need to report on the actions that you would take to
20 further ensure that you don't exceed that constraint.

21 So I think a lot of people would see a
22 similarity if you put a 2 rem per year constraint in
23 the regulations, it would also give you a reporting
24 requirement, but it would also trigger other actions
25 that you would need to take to ensure that you comply

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with the constraint which is, as Alice said, is a soft
2 regulation. It's not a constraint, it's viewed as a
3 limitation.

4 DR. COOL: You are correct on what is
5 required right now for that particular constraint.
6 And part of the reason we're asking the question is
7 that we know that that set of requirements, because of
8 how they got put in place, do not really match what
9 ICRP was saying they envisioned by the process now.

10 So that's why I'm encouraging you to think
11 in terms of the different possibilities and the extent
12 to which reporting is or isn't necessary and which
13 type of actions might or might not be done in all of
14 those pieces, because, in fact, while there is that
15 currently in the regulation, that doesn't necessarily
16 need to serve as a model.

17 MR. HODGKINS: Roger?

18 MR. PEDERSON: Yes, Don said exactly what
19 I was going to say, but if -- and I'm not defending,
20 I'm just -- this is I'm playing the devil's advocate
21 here, and maybe I shouldn't do that.

22 Again, Roger Pederson, NRC. You're right,
23 constraints are constructed that it's a trigger point
24 that you should do something. In the current
25 constraint that we have in the regulation, that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 something is to put something into place to get down
2 below the constraint value. That's not necessarily,
3 as Don said, the model that needs to be followed.

4 You could construct a constraint that
5 would require you to do something. What that
6 something is, there's a lot of flexibility there. One
7 thing could be that you would take additional actions
8 to ensure that the individual didn't get more than 10
9 rem in five years, or in the last five years, or in
10 the next five years, or something. It wouldn't have
11 to be that you would get down below the 2 rem this
12 particular year, but there would be some action that
13 would be required.

14 MR. HODGKINS: Scott, did you want to --

15 MR. KIRK: I should have just stayed at
16 the mike. I think that the current framework that you
17 have, or the guidance that you have, which puts it
18 into the realm of no dollars spent per rem of dose
19 avoided is probably the best constraint because if you
20 could take additional action that you should probably
21 evaluate it based on socio and economic, you know,
22 considerations.

23 So I think that the current sort of
24 framework for optimization is what, you know, should
25 hold as you guys move forward with this rule making.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HODGKINS: Okay. Anybody else react
2 to that?

3 (No response.)

4 MR. HODGKINS: Echo, amplify, justify?

5 Steve.

6 MR. CAMPBELL: Just kind of thinking in a
7 regulator's mind again, I think I said this prior too,
8 if we put something in our procedures or safety
9 standards that says we'll alert at this point, we were
10 bound to do something. Okay. It's not a rule, I'm
11 going to take it away out of the rule. It's not a
12 rule. It's just part of my program.

13 And again, if a regulator comes in to do
14 an audit, administrative audit, and finds out I hit
15 this target area with this fellow, and I did
16 something, but that regulator doesn't seem to believe
17 that's sufficient. So then I'm leaving it up to the
18 regulator to interpret my operating procedures.

19 And I don't believe that's a fair thing
20 for -- you go back to the ICs again, what I mentioned
21 about the IC. You left it up to me to do this, let me
22 say what I'm going to do, let the regulator come in
23 and observe that I did it with no consequences. Don't
24 leave it up to the regulator to define what I've done
25 here, whether it be good or bad.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HODGKINS: Okay. How are we doing?
2 Any other comments, concerns, questions?

3 (No response.)

4 MR. HODGKINS: Let's do the next question.

5 DR. COOL: Well, we've talked around this
6 because one of the things that we had been asked, or
7 suggested to us previously was the relationship of the
8 constraint and limits. And as Roger pointed out, one
9 of the things that I should have talked about was you
10 do your planning in order to avoid exceeding the
11 limit. Well, that's why all of us do our planning,
12 that's what the whole purpose of ALARA is.

13 Some people had suggested, and the whole
14 reason of the discussion of two or some other number,
15 was that in other forums over time people have
16 suggested this was a different mechanism for achieving
17 those kinds of levels which didn't have the same
18 degree of odoriferousness, probably not a word, but --

19 (General laughter.)

20 DR. COOL: -- it's not quite as stinky --

21 MR. HODGKINS: It could be a word
22 actually.

23 DR. COOL: -- as -- not quite as stinky as
24 calling it a limit itself. But see if anyone else
25 would have anything to suggest since it's already, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 think, pretty clear that everyone has said, We don't
2 really like the idea, we really don't the idea of a
3 number. But now's your chance to add anything else
4 you'd like to the discussion.

5 MR. EARLS: This is Leonard Earls. Well,
6 obviously just mathematically you can't have a
7 constraint above the dose limit. It would do you no
8 good. But I don't --

9 DR. COOL: Interestingly, that was
10 actually specifically suggested in Los Angeles.

11 MR. EARLS: I think we need to take that
12 one off line.

13 (General laughter.)

14 DR. COOL: The doctors are very creative
15 individuals --

16 MR. EARLS: I can't see any point in tying
17 the concept of constraint with the dose limit
18 specifically in terms of 1 rem, 2 rem, whatever. I
19 think this concept of constraint is embraced by
20 everyone that deals with public health and safety when
21 it comes to radioactive materials and radiation. We
22 do constraints. Now we don't call it constraints, we
23 call it ALARA planning, or whatever the term may be.

24 The thing that kind of -- I think is
25 getting everybody is the term constraint itself is --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it's a restraint. It's a limit. Okay. And I think
2 that's where everybody's hung up. And you're talking
3 about it being odoriferous to put the 2 rem in there
4 as a constraint versus a limit. Well, it might
5 qualify as slimy maybe is a better term.

6 MR. HODGKINS: Ellen, were you going to
7 say slimy?

8 MS. ANDERSON: No, not quite.

9 (General laughter.)

10 MS. ANDERSON: Ellen Anderson for Nuclear
11 Energy Institute. What I was going to say is, if a
12 constraint is a number in a regulation, we are not --
13 as licensees, obviously we don't want to go anywhere
14 near any regulatory numbers, so I'll use the number 2
15 rem because that's the number we've been playing with
16 here, we use a 2 rem per year constraint, that means
17 that our -- we will have an administrative constraint
18 limit. Okay. So it's going to be somewhere below
19 that.

20 As we currently operate our ALARA
21 programs, if we go over one of our planning values,
22 whatever that value is, then we institute our own
23 corrective actions because they're written into our
24 own procedures. I just can't imagine what would
25 happen as a licensee if you went over that value that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 has been established in a regulation. Now it is no
2 longer our program, it's something that we have to
3 react to.

4 Again, and I can just see it now, that 2
5 rem constraint would become something quite a bit
6 lower than that, so we actually will be operating in a
7 smaller increment there.

8 MR. HODGKINS: Okay. Anybody else,
9 comments, concerns, questions, amplifications?

10 (No response.)

11 MR. HODGKINS: Question number 4.

12 DR. COOL: This really gets to the heart
13 and soul in one sense of it, whether or not it's
14 inappropriate to require planning and the use of
15 planning values, or whether you simply leave it as the
16 good practice that we say most everyone does.

17 MR. HODGKINS: Mark.

18 MR. LEDOUX: Mark Ledoux. Well, I would
19 say it is inappropriate, and for a lot of the same
20 reasons that have already been said. Once you make it
21 a regulatory requirement, then it's no longer a
22 philosophy and no longer provides the -- or allows the
23 licensees the flexibility to do what they've got to
24 get done within the rules and the requirements that
25 they have to have, so.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HODGKINS: Anything else, guys?
2 Comments, concerns, questions?

3 Excellent, Gabe. Start with your name
4 first.

5 MR. HOLLIER: Gabe Hollier, National
6 Inspection Services. It's definitely inappropriate.
7 As the industry has shown improvement, and that's on
8 all sectors of it, we're able to take care of it
9 ourselves. We're very efficient at it, we do it well.
10 The government is not efficient. Very, very
11 inefficient, it takes you seven, eight years to make a
12 rule. I mean, come on, if we -- we'd all be out of
13 business if we go on that pace.

14 So it's inappropriate. We don't need it.
15 There's no -- there's absolutely no need for it.
16 It's more confusing, and more regulation, more
17 requirement. For what? For no benefit, no safety.
18 There's no added anything to it. So we don't need it.
19 Inappropriate.

20 MR. HODGKINS: Ellen.

21 MS. ANDERSON: Ellen Anderson. I'd like
22 to just add on to what Gabe just said, and we have the
23 data to prove that we can do it on our own. We don't
24 need the government to regulate our ALARA programs.
25 We do it now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HODGKINS: Okay. Did you --

2 MR. CAMPBELL: Yes.

3 MR. HODGKINS: Okay. That was Steve, by
4 the way.

5 (General laughter.)

6 MR. HODGKINS: Gabe, did you want to add
7 anything to what Ellen commented, echo?

8 (No audible response.)

9 MR. HODGKINS: Anybody else? Panelists?
10 Yes, Susanne.

11 DR. SAVELY: I'd like to say in support of
12 our federal government employees, that it's nice to
13 live in a country where at least we're asked our
14 opinion of the regulations that have been proposed.
15 So I want to thank you for the opportunity we've had
16 here the last two days.

17 MR. HODGKINS: Okay. Is that a yes,
18 Steve?

19 (General laughter.)

20 MR. HODGKINS: With a baby added.

21 DR. COOL: It's actually an interesting
22 comparison, because if I recall the federal papers
23 correctly, the whole process was deliberately
24 established to be slow and slightly cumbersome so that
25 things wouldn't just suddenly happen on the whim of an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 individual, which is the same reason that we in the
2 agency have specific requirements to do regulatory
3 analysis and prepare issues papers and to think things
4 through and do that further analyses.

5 So you're right we're a little bit slow,
6 and we're trying to listen in the process so that when
7 we finally get there perhaps the answer is much better
8 informed by the whole -- what really happens in the
9 world.

10 But let's mush on.

11 MR. HODGKINS: Yes.

12 DR. COOL: You waxed eloquent for a moment
13 there.

14 MR. HODGKINS: Yes.

15 DR. COOL: The last two questions are
16 related to each other, so I'm going to do -- read --
17 let you read this and then actually go to the last
18 one, because I think this discussion has already
19 pretty clearly demonstrated that people are sort of
20 familiar with the content, not necessarily with the
21 specifics for the individual term.

22 But what I'm really interested in, in one
23 last round, whether anyone else would like to share
24 exactly how you do your planning. We've had several
25 examples of how numeric criteria, or in some cases

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 not, are applied within their ALARA programs.

2 And part of developing the paragraphs, and
3 I'll go back that, when I'm writing the paragraphs to
4 the Commission on this, I can start out, I think, by
5 saying most everyone in the meetings were talking
6 about how they do this and how they do ALARA
7 activities, and the record recorded in the performance
8 of those is coming down, but -- and then what do I
9 write about how people actually do that so that
10 someone can take credit for it, if you will.

11 And I hate to use this analogy, but
12 because of how I was involved in the discussions with
13 EPA, I am just a little bit gun shy when people come
14 in and say, you can't show me the line, therefore it
15 must not exist, irrespective of performance, because I
16 will tell you in that case, all of the performance
17 data that the agency laid out played not one whip in
18 the final decision process. So help me out a little
19 bit here.

20 MR. HODGKINS: Mark.

21 MR. LEDOUX: Mark Ledoux, and I already
22 spoke a little bit about the way we do radiation
23 safety committees and so forth at EnergySolutions, but
24 on the back side of that now, once the year is done,
25 we have an annual report of EH&SQS, environmental

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 health and safety that's rad, industrial, quality,
2 security and so forth that goes to our senior
3 management.

4 And I do the rad side of that, and in that
5 I compare where we were -- or where the ALARA goals
6 were for those, you know, for the different business
7 units and so forth, and also looking at incidents that
8 we could improvement on and so forth. And then that
9 report comes out and it goes in with the rest and it
10 goes to our senior management so they see how we're
11 doing on an annual basis.

12 On another part, I also on monthly basis
13 help put together a senior staff report, which is
14 basically industrial health, OSHA statistics, rad
15 health and the metrics between the different work
16 groups and so forth that we have established in
17 quality. And in that we also have our ALARA goals and
18 how they're doing year to date with respect to the
19 different units. So it's got high visibility and it's
20 something that I know I do, and a lot of other people
21 keep track of, so it's an example of how we do it.

22 MR. HODGKINS: How about let's go around.

23 Laurie, any examples, any highlights that you don't
24 like to give, or not?

25 MS. MCGOWEN: Laurie McGowen, no comment.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HODGKINS: Toby?

2 (No audible response.)

3 MR. HODGKINS: John?

4 MR. MILLER: Well, you know, we're a small
5 company, but I think we have a very robust safety
6 program, both industrial and radiation safety. We
7 have quarterly meetings and, you know, when we develop
8 constraints, or what we refer to as ALARA goals, those
9 are based on a lot of things, it's based on the
10 specific task, whether or not a person is
11 manufacturing cobalt-60 sources or whether this
12 person's distributing iodine-131, it depends on what
13 they're doing.

14 You know, there's certain skill sets,
15 we're a little bit limited to where we can swap people
16 over, but there are times when we might have a person
17 that's working in cobalt-60 moves over to iodine-131,
18 and we have to change the monthly goal for that
19 person, because we know that the doses that are
20 received for that task are different.

21 The other thing we look at is how much
22 money do we have to spend. The reasonable in ALARA
23 requires you to take that into consideration. And if
24 I only have, you know, X dollars to spend to design
25 and purchase a hot cell, I need to make sure that my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 constraint, and for the case of cobalt-60 we use 2 rem
2 per year based on two guys working there full-time,
3 and what we anticipate the work load to be.

4 You know, the constraint has to be able to
5 match what our budget is to get that system in place.

6 And, you know, to date it's been working perfectly.
7 I wouldn't change how we do business at all. I'm
8 happy maintaining our constraints inside of our
9 radiation protection program, and leaving it at that.

10 MR. HODGKINS: Ann.

11 (No audible response.)

12 MR. HODGKINS: Jean.

13 MS. J. STATON: When we have planning
14 values, we are automatically alerted if a person
15 exceeds 417 MR. I will then call them in. While
16 they're coming in, I will find out their history, what
17 jobs they've been working on, and depending on what
18 their history shows, I may bring them in and keep them
19 away from the radiation area, or I may put them on a
20 different job where he's not receiving as much.

21 So we do have, if you want it constraints.

22 But it's not regulated by the NRC or the state, it's
23 us. We are there, have the training and you either
24 trust us. We've got our TWIC card so evidently you
25 trust us for some things. We can do our job if we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 let -- if we're allowed to.

2 MR. HODGKINS: Doris?

3 MS. BRYAN: Doris Bryan, Radiation
4 Technology. We also are a very small company, and I'm
5 limited in the number of people that I have that can
6 do work with sources or with radiation, since I don't
7 do much work anymore. But we do have procedures, I do
8 have constraints, dependent upon the individual job.
9 I monitor those very closely. We've had our ICs
10 inspected, they're working well, and I think we're
11 doing a good job. Don't change it.

12 MR. HODGKINS: Ellen.

13 MS. ANDERSON: Ellen Anderson. I'll defer
14 any specifics to Leonard, because he is a power plant
15 person.

16 MR. HODGKINS: Steve?

17 MR. CAMPBELL: Yes, our SP works well
18 also, just as I'm sure everyone's does. The
19 parenthesis up there, planning values, I think I
20 mentioned earlier industrial is, in my business, is
21 regulated by the gas pump, and regulated by Don
22 calling me to do a job. I shoot from the hip, so
23 planning values is very difficult over a 12-month
24 period in call-out work.

25 And when I mentioned the gas pump, when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the prices go up on oil, that means there's nothing
2 going on probably. When they go down, that means
3 there's something good going on. That's the way my
4 work load is regulated.

5 MR. HODGKINS: Alice.

6 MS. ROGERS: I don't have anything to add
7 at this time.

8 MR. HODGKINS: Leonard? Speaking for two
9 today.

10 MR. EARLS: Leonard Earls, South Texas
11 Project. To give you an idea of what we already do,
12 and I'll try to keep this fairly short, with respect
13 to individual doses, we have what's called
14 administrative action levels. If a person reaches the
15 first trigger level, it requires what we call a dose
16 extension, which means they meet with the radiation
17 protection manager. They're supervision has to --
18 they have to ask for this dose extension, and it'll be
19 processed. And it's all below the 5 rem per year.
20 Our first number for an administrative action level is
21 1500 millirem for the year.

22 Now, with respect to planning, all jobs
23 are planned inside our radiation -- radiologically
24 controlled area. We operate under radiation work
25 permits. There is a dose target for that particular

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 radiation work permit for every -- for all of the work
2 that's going to take place under that permit.

3 Then individually there is a dose per
4 entry that we establish, and that's the way we set
5 their -- we use electronic dosimetry and that's the
6 way we set their particular dose values on the
7 electronic dosimetry. That depends on what work
8 they're going to do. We have a work control system
9 that uses what's called work authorization numbers,
10 and typically that combination of radiation work
11 permit and work authorization number is used to
12 establish what the dose value for that entry is going
13 to be.

14 For outages, we call them shut downs or
15 whatever in other -- in the oil and gas industry, but
16 we're essentially shutting the reactor down typically
17 for refueling. That whole outage is planned. There
18 is a target value for the outage as a whole. There
19 are target values for each project section, you might
20 say. If we're doing steam generators, there'll be a
21 dose target for steam generator work. For refueling
22 there'll be a dose target for refueling work.

23 As you can see, the planning is quite
24 extensive. Planning for an outage is at least a six-
25 month to -- four- to six-month research into the work

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that's going to be done and working with the various
2 crafts to figure out what they're doing, where they're
3 doing it, the man hours it's going to take, the
4 radiation levels that they'll be exposed to based on
5 surveys and historical data. There's extensive
6 planning.

7 For normal operations we still use
8 radiation work permits and we set targets for this is
9 how much dose we're going to get during normal
10 operations time. Radiation work permits that exceed
11 their target value, if they exceed it by a certain
12 percentage, requires a review of that radiation work
13 permit and the work that's been done under that
14 permit.

15 So you can see that in nuclear power --
16 and this is just the South Texas example, I probably
17 haven't covered all of it -- you can see that there's
18 extensive planning already taking place with target
19 values, goals, administrative action levels, that sort
20 of thing associated with radiation exposure. I may
21 have left something out, but I think that's enough.

22 MR. HODGKINS: Has he left anything out,
23 Ellen?

24 MS. ANDERSON: Ellen Anderson. One other
25 thing I just thought I'd bring up, and this is very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 similar to all power plants, and what -- by the way,
2 what Leonard said is very similar at all power plants,
3 not just the South Texas Project. But a lot of
4 utilities have daily dose goals and those dose -- and
5 whatever they -- it's almost like a bet, they take
6 money -- like we take money out of a bank, we take
7 dose out of a bank per day, and then that's even
8 broken down by department.

9 And if you go over a department goal on a
10 daily basis, if you do go over, at the morning meeting
11 with the -- we have a morning management meeting, you
12 have to tell the plant manager and/or site vice
13 president why you and your department went 2 millirem
14 over your goal yesterday. So we are very regimented
15 in our industry.

16 MR. HODGKINS: Don.

17 MR. SIDES: Don Sides, Stork. As
18 everyone -- you know, we all have an ALARA program. I
19 have a trip point set up with Landauer. We've been
20 using those guys for 35, 40 years probably. I get a
21 phone call and a fax, and the trip notification from
22 Landauer is a little higher than what my ALARA trip
23 point is.

24 Normally we don't have -- I haven't had a
25 notification from Landauer in a while -- normally I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 review all of the badge reports, I'm the first one
2 that gets them obviously. And the first thing we do
3 is we have a form, you got to have that paperwork. We
4 have a form they have to explain why they went over,
5 what they think they can do to avoid it, and then
6 depending on how far over they went the ALARA point,
7 they're probably going to have a little one-on-one
8 time with me.

9 MR. HODGKINS: Thank you.

10 Back to Gayle.

11 MS. STATON: Gayle Staton. Acuren
12 Inspection is a very large company, and we actually
13 have our planning values are structured very similar
14 to what Mark talked about in the beginning. We have
15 metrics that we meet monthly and discuss, and we go
16 from year to year to year and compared. And just so
17 you guys can know that over the last five years we've
18 continued to drop in our annual dose exposure. So,
19 yes, we do have constraints, in-house constraints in
20 place already.

21 MR. HODGKINS: Tony?

22 MR. YUNKER: Tony Yunker, Baker Hughes.
23 I'm kind of proud of this because we have constraints
24 in place that would probably make a lot of people in
25 here cringe. But we're also a big -- a major company

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that has ability to do that. Our engineering
2 control's in place and everything else.

3 Our radiation protection program is beyond
4 reproach in my book. We don't even get to the
5 triggers that we get, but we still call the guys in
6 and talk to them if I think something doesn't look
7 right. So we watch our people religiously and they
8 watch themselves, which makes me very proud.

9 MR. HODGKINS: Thank you, Tony.

10 Susanne.

11 DR. SAVELY: Susanne Savely, I don't have
12 anything to add right now. Thank you.

13 MR. HODGKINS: Okay. Audience? And you
14 know what, I think we're bereft of a medical person
15 here as far as the round table discussion, and so if
16 there's any medical folks out there, just to get that
17 perspective. Not necessary. Not necessary. Don't
18 want to force you all up here. But comments,
19 concerns, questions?

20 Yes, come on up.

21 MR. KIRK: Scott Kirk, Waste Control
22 Specialists. I would say that part of we do at Waste
23 Control Specialists, you know, we process and we'll
24 dispose of some pretty hefty radiological waste
25 materials. And, you know, what we've undergone lately

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is a safety culture initiative that we won't -- before
2 we start processing waste, we -- or handling it, we
3 starting asking ourselves through a process, you know,
4 what could go wrong, because we want to ensure that
5 our doses are minimal and not only from normal
6 operations, but for possible upsets.

7 We also do extensive mock up training
8 before we even begin the work, and we set out
9 thresholds. So once we calculate what potential doses
10 are, we go through a formal process and even share
11 that with our radiation safety committee to see what
12 we can do to further reduce those doses.

13 We're a material licensee, we're not a
14 Part 50 licensee, but a lot of us in our company comes
15 from that same sort of an environment, so we adopt
16 that same concept and philosophy as well. And if it
17 comes to major waste campaigns, oftentimes as part of
18 our operational readiness review, sometimes we even
19 hire outside experts to come in and take a look before
20 we even begin to, you know, start the work to begin
21 with.

22 And so what our thought is, is that, you
23 know, we need to embrace some institutional learning
24 within our staff in large part because that is our
25 knowledge base and, you know, we're in West Texas, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 when I tell people the strength of our facility is
2 that it's an arid and remote environment, but at the
3 same time, you know, that's also a weakness because
4 sometimes it's hard to get qualified trained staff and
5 be able to keep them out there.

6 So we really embrace the whole concept
7 about safety culture and looking at ourselves to say
8 what we -- how we can do to improve our operations.

9 MR. HODGKINS: Okay. Anybody else? Come
10 on up.

11 MR. COLWELL: Dan Colwell from
12 Westinghouse Electric Corporation. Our dose reduction
13 program comes under our continuous improvement
14 initiatives and ever since 1999 when Westinghouse was
15 owned by a foreign entity, we've had a 1.5 rem dose
16 constraint in place anyway. But we've had an
17 aggressive annual campaign to reduce the dose by 10
18 percent a year since 2004, and we're now reaching some
19 threshold values as a result of that. But we have
20 been very successful.

21 We monitor maximum average, cumulative
22 department, internal, external, we set ALARA goals
23 every year for all of those parameters. We have
24 quarterly status reports and based on projections we
25 take corrective action to make sure we have a very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 good chance of meeting all of those goals by the end
2 of the year. And we do an annual report with five
3 year trending.

4 Internal dose we have as half of our dose,
5 so we monitor that daily. We have weekly limits that
6 are reported to management, we have monthly and
7 quarterly limits as well that are reported to
8 management. So we've have lots of planning values in
9 place for a long time, and they have been effective.

10 MR. HODGKINS: I saw that head nod back
11 there against the wall. You talked yesterday, you
12 want to talk today? All right. Here we go. We got
13 somebody.

14 MR. MACHO: Mike Macho, Comanche Peak.
15 I'm going to just echo exactly what Ellen and Leonard
16 have said. The utilities do self-regulate themselves
17 very well, and the challenge that every utility takes
18 is to meet the upper 10 percentile of minimizing the
19 power ops and outage doses. So it's a rigorous
20 challenge to always be the best.

21 So another thing to add is when we have
22 outages, and even before the next year starts, we
23 always plan what our power ops and outage goals are
24 going to be, and we'll close -- you know, we'll set
25 our goals well before eight weeks or several months

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 beforehand for outages, because -- and then we'll just
2 set that in. We aren't going to -- we won't add
3 things to it, to the outages, or the -- you know, it's
4 a goal that we shoot for and it's -- and the utilities
5 are very set at meeting these goals.

6 MR. HODGKINS: Thank you.

7 Any more?

8 (No response.)

9 MR. HODGKINS: Don, any kind of --

10 DR. COOL: This has been very useful. I
11 appreciate it. I'm going to ask one final little
12 question which I think might even be as simple as a
13 yes or a no. For the descriptions of your processes
14 and activities and the things that you do, are those
15 written down some place the kind of processes you use?
16 And I'm not expecting that it's tied down in your
17 license, although for some of you it probably is.

18 But is it written down in your sort of
19 organization of how you would behave, because that's a
20 useful piece of information to let people -- not only
21 do they do all these good things, but if I were to go
22 visit them, they would actually be able to show me
23 where in their internal process this could be that
24 it's written down that they're going to do these sorts
25 of checks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I think Gayle shaking her head yes, and
2 yes, yes. Let the record reflect all the heads were
3 going up and down.

4 (General laughter.)

5 MR. CAMPBELL: Hey, Don, this is Steve,
6 you want to make that wager yet that I proposed to you
7 earlier?

8 DR. COOL: No, I think you know the
9 results of your wager now. That was sort of the final
10 way to get that cross-check which is very helpful.

11 With that, I think we are done with this
12 issue, unless anyone has something deep and burning.
13 So this goes to any -- now any other item that you
14 wanted to bring up that we haven't touched on here.
15 We had the parking lot, and I think we took the second
16 one off already.

17 I'm not sure whether there was something
18 that someone wanted to raise related to cesium
19 chloride sources, and if there were any other issues
20 related to possible changes to Part 20 and the
21 radiation protection requirements that you wanted to
22 raise, because this is sort of your opportunity to put
23 on the plate the thing that you just love most about
24 the regulation.

25 MR. HODGKINS: So, Don, just as a process

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 should we first do the cesium chloride --

2 DR. COOL: Ask if there's --

3 MR. HODGKINS: -- sealed sources?

4 DR. COOL: -- anything that people wanted
5 to raise on cesium chloride.

6 MS. BRYAN: Yes, I'm the one that brought
7 that up only in the light that it did affect internal
8 dosimetry. However, it's not something we need to
9 address today because you do have another publication
10 out that's up for review and comment.

11 DR. COOL: And, in fact, a number of your
12 colleagues are spending two days in Rockville,
13 actually these two days that we've been here, talking
14 a lot about cesium chloride and next steps and
15 otherwise.

16 MR. HODGKINS: Okay. So that's off the
17 table, or is there somebody else who'd like to talk
18 about it?

19 (No response.)

20 MR. HODGKINS: Done? Okay. Now you guys
21 this is your chance, any lingering questions,
22 concerns, comments, anything that has been brought up
23 through these last two days?

24 (No response.)

25 MR. HODGKINS: If we can just kind of talk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 about then the content, what it is that you would like
2 to see with this information. I mean come on the menu
3 is broad, the slate is clean, tabla rosa, and just for
4 a check step, I am going to go around the panelists to
5 make sure that we, you know, considered everything and
6 there's a verbal affirmation for that.

7 Anybody want to start with a lingering
8 issue, and then we'll go around?

9 All right. Steve.

10 MR. CAMPBELL: Me again. Question. I'm
11 just curious, you mentioned the other two meetings
12 you've had in DC and LA. Can you give me a consensus
13 on the dose limit change from those regions in the
14 United States, for or against, strongly for or
15 strongly against?

16 DR. COOL: I wouldn't use the word
17 consensus, but I would say that each of the meetings
18 had almost exactly the same flavor as here.

19 MR. HODGKINS: Ellen, and you've been at
20 two of them?

21 DR. COOL: Three of them.

22 MR. HODGKINS: Three. So how about from
23 your perspective?

24 MS. ANDERSON: Ellen Anderson. The
25 discussions were all different, the medical folks

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 got -- really got into the dose to the embryo fetus, I
2 mean a long time. But overall, if I was to say, you
3 know, how did everyone -- if everyone voted, how did
4 the votes come about, I would say that for every
5 meeting pretty much we gave the same message to the
6 NRC. So basically everyone voted the same on all the
7 issues.

8 MR. HODGKINS: Okay. Steve, you want to
9 verbalize that?

10 (General laughter.)

11 MR. HODGKINS: Yee haw. Touchdown.

12 All right. Alice, we're going to go this
13 way.

14 MS. ROGERS: Alice Rogers, Texas. I don't
15 have anything further to add.

16 MR. HODGKINS: Leonard.

17 MR. EARLS: Leonard Earls, it's been a
18 good meeting, and I think this is a necessary way of
19 collecting information. I would, just from a
20 scientific basis, when the risk factor, the published
21 risk factor changed from 1 times 10 to minus 4 to 5
22 times 10 to minus 4 in 1990, that was based upon the
23 linear no threshold hypothesis, and in that particular
24 hypothesis any radiation exposure is considered to
25 carry with it some risk.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Where we are in regulation is regulating
2 down to equating dose with risk. We can control dose,
3 therefore we'll control dose to control risk, and
4 that's the whole thrust of this examination. It's an
5 open question, as Don has mentioned earlier, whether
6 that particular hypothesis of radiation response
7 versus risk has any scientific credibility at the
8 doses that we're talking about.

9 So just keep this in mind, that we are
10 down in extrapolating data to arrange that we do not
11 have any firm answers, but as I said before in an
12 earlier session, whatever that response curve looks
13 like at low doses, we know the effects are low because
14 we're not seeing them.

15 MR. HODGKINS: Don.

16 MR. SIDES: Don Sides, Stork Testing.
17 It's been a very interesting meeting. I pretty much
18 echo everybody's thoughts on the 2 rem dose limit.
19 I've had -- been having this conversation with some of
20 my technicians over the past few months, and basically
21 their reaction's unprintable, because it consists of
22 mostly four-letter words.

23 MR. HODGKINS: And that ain't love.

24 (General laughter.)

25 MR. HODGKINS: Gayle.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. STATON: Gayle Staton. Thank you very
2 much for allowing us to come and share our views and
3 our opinions here, and that's what we like about
4 dealing with the NRC, they always give us that
5 opportunity first. And I hope everyone will share
6 their comments in writing to the NRC also.

7 MR. HODGKINS: Tony.

8 MR. YUNKER: Thanks for the invitation.
9 It's been very informative and I look forward to doing
10 it again some day.

11 MR. HODGKINS: Susanne.

12 DR. SAVELY: I just want to say thank you,
13 I've enjoyed it, and learned a lot here today.

14 MR. HODGKINS: Good. You learned a lot,
15 go deep. Any surprises, any -- you know, go a little
16 bit deeper, you learned a lot. I'm going to put you
17 on the spot.

18 DR. SAVELY: Well, I think I wasn't that
19 as familiar with industrial radiography issues, and
20 the nuclear power plant issues before I came today.

21 MR. HODGKINS: And how did that make a
22 difference to you?

23 DR. SAVELY: Well, I think it's always
24 interesting to see it from a different point of view
25 because, you know, as I've said several times, you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 not necessarily going to be impacted by a -- much by a
2 2 rem limit at our institution, but to see how many
3 other people would be affected was eye opening for me.

4 MR. HODGKINS: Thanks.

5 DR. SAVELY: Thank you.

6 MR. HODGKINS: Mark.

7 MR. LEDOUX: Mark Ledoux, and it was
8 really a great meeting and I appreciate the
9 opportunity to participate. That's important. Thank
10 you.

11 MR. HODGKINS: Okay. Laurie.

12 MS. MCGOWEN: Laurie McGowen. I think it
13 was a great meeting, and on the industrial side, we
14 learned a lot about the medical and why they couldn't
15 do certain things that we could.

16 MR. HODGKINS: Okay. Toby.

17 MR. HEAD: I just want to say thank you
18 for the invitation and opportunity to express our
19 views on this stuff.

20 MR. HODGKINS: Appreciate it.

21 John.

22 MR. MILLER: Yes, I really appreciate the
23 ability to engage with the NRC on this, on proposed
24 rules. On what comes next on your fourth bullet
25 there, I really think it's important for the NRC to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 consider up front what the financial impact is going
2 to be, you know, whether you go and, you know, to
3 figure out what direction you're going to go into.

4 You know, the proposed Part 37 rule making
5 had a financial impact to industry that was given a
6 range for 500- to \$ 1 billion without any quantifiable
7 benefit. And so, you know, if we would change our
8 regulations to reduce our dose limits, you've got back
9 fit requirements because there's plenty of facilities
10 that have been built and designed based on 5 rem per
11 year limit.

12 Going in and having industry accept all
13 those costs to achieve a federal limit much lower than
14 that would not only be, you know, direct out-of-pocket
15 expenses, but for companies that are in global
16 industry, it makes it very difficult to compete with
17 foreign companies that may not be footing the bill to
18 hit that 2 rem per year limit. Thanks.

19 MR. HODGKINS: Thank you.

20 Ann.

21 MS. TROXLER: Thank you for having me
22 here. I really enjoyed it and I enjoyed seeing the
23 interaction between our licensees and the NRC, and I
24 enjoyed the fact that now they see you are
25 approachable, you can be talked to, but we'll see what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 happens.

2 (General laughter.)

3 MR. HODGKINS: Wei-Hsung.

4 DR. WANG: Wei-Hsung Wang. This is good
5 meeting and I think that dialogue is always healthy
6 between the stakeholders and the regulatory agency,
7 and also the transparency of the process is very
8 helpful. Thank you.

9 MR. HODGKINS: Jean.

10 MS. J. STATON: I want to thank you to be
11 on the panel. I have enjoyed it, I have learned about
12 the difference on the nuclear regulatory -- their
13 views. And then I've learned different things on the
14 medical aspect of it, and on the Nuclear Energy
15 Institute. It's been a very good meeting, and I hope
16 I'm asked again to contribute.

17 MR. HODGKINS: Doris.

18 MS. BRYAN: Doris Bryan. I also have
19 thoroughly enjoyed this. I think your Part 37 meeting
20 a couple of months ago in Austin was very valuable.
21 This is valuable and I commend for letting
22 stakeholders come in and attend.

23 MR. HODGKINS: Thank you.

24 And last but not least, or I saved the
25 best till last. Ellen.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (General laughter.)

2 MS. ANDERSON: Ellen Anderson. On behalf
3 of NEI and our members, in particular the power
4 reactors, I would like to, again, thank you for
5 allowing us to participate in all three of these
6 meetings. We will be providing written comments to
7 you by the January 31 deadline. And we do look
8 forward to dialogue with you pertaining to this issue
9 in the next months and years to come. Thank you.

10 MR. HODGKINS: Thank you.

11 Okay. Audience, your chance. Any last
12 lingering issues, questions, comments, concerns, and
13 also ways to improve this? Come on up. One. Come
14 on. Yes.

15 MR. SNELL: Warren Snell, Methodist
16 Research Institute. I'd like, as everyone else has
17 said, I'd like to thank the opportunity to come here
18 and be involved in being in this meeting. And my
19 remark is really closing says that the Commission
20 believes that the current NRC regulatory framework
21 continues to provide adequate protection of health and
22 safety of the workers, public and the environment.

23 MR. HODGKINS: Thank you.

24 Come on, Scott.

25 MR. KIRK: Scott Kirk, Waste Control

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Specialists. I, too, commend the NRC for their
2 efforts in putting together this stakeholder meeting.

3 It's always refreshing for me to see the diversity
4 that our industry has, whether it's from fuel cycles,
5 from power reactors, to radiographers. We are diverse
6 and I think that health and safety is our, you know,
7 first and foremost concerns for all of our workers and
8 members of the public, and I encourage you folks to
9 move forward and go with this rule to better update
10 the technical basis of Part 20. Thank you.

11 MR. HODGKINS: Tim, want anything?

12 (No audible response.)

13 MR. HODGKINS: Dan?

14 (No audible response.)

15 MR. HODGKINS: You've talked. Come on,
16 you guys have said some things, say some more.

17 MR. HURT: Tim Hurt. You know, 103 is an
18 intriguing conversation we've have the couple of days.

19 My question is, you know, has the NRC got anything in
20 their hip pocket that they're really considering into
21 Part 20 and changing other than 103, i.e. I hope we
22 don't end up with little weird orange signs that we
23 have people running away from x-rays or any of that
24 kind of stuff? Do we -- I mean there's a lot in Part
25 20, have you got anything that we can see coming down

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the line that's going to end up being changed?

2 DR. COOL: At this point I don't see other
3 major things. There are always the opportunities,
4 hence the reason for this last question of things that
5 may need to be looked at.

6 As I mentioned, we know that EPA is
7 working on things related to the factors associated
8 with tritium. We know that ICRP and others are taking
9 another look at the issues around eye dose, which is
10 particularly important in some of the medical sectors
11 because dose to the lens of the eye -- there's a
12 growing body of scientific information that says that
13 that's more hazardous than previously, so there may be
14 some additional recommendations coming there.

15 So there will continue to be things that
16 we will watch and monitor. So I cannot make you any
17 predictions that there won't be other things out
18 there. But these were the ones that -- these issues
19 are the key issues that we identified looking at the
20 initial alignment with the international
21 recommendations.

22 MR. HURT: Thank you very much for the
23 opportunity to come and see you all. We had a fellow
24 in Washington that participated and he was equally
25 impressed with the openness and the good work that you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 all are doing.

2 I'd like to commend you for doing a good
3 job of keeping the -- keeping all the --

4 MR. HODGKINS: Keeping you in control.
5 Right?

6 (General laughter.)

7 MR. HURT: God bless you if you can do
8 that. My wife would like to know how.

9 MR. HODGKINS: Roger, other than you and
10 Steve reconciling in these two days, are there any
11 other comments or closing remarks you'd like to make?

12 (No audible response.)

13 MR. HODGKINS: Yes.

14 MR. EARLS: Since this has to do with
15 other things in Part 20, that's what we're talking
16 about right now, in the nuclear power business we deal
17 with some contamination. In releasing items off site,
18 essentially the guidance that we have on that stems
19 back to the early '80s, actually late '70s, early
20 '80s, and there is no number at which we can release
21 something off site if we know it has an atom in it
22 that may be radioactive except through the liquid and
23 gaseous effluent method. There's nothing on solids.

24 This has been an irritant for me
25 personally, this is Leonard, not South Texas Project,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 just as a health physicist. As the equipment has
2 gotten better and better at detecting very, very low
3 levels of contamination, it's become very shall we say
4 challenging to meet the not one atom release of
5 material.

6 And that's something that I'd like to see
7 the NRC get their hands around. I know Don remembers
8 well the BRC thing with lots of trepidation. But it's
9 something that I think that is present in the European
10 community. There is a number that they have to look
11 for and if they don't see that number, life is good.
12 But it's something that I think would have a benefit,
13 at least for the licensees. Now as far as public
14 perception and that sort of thing, I'm not going down
15 that trail.

16 MR. HODGKINS: Okay. Alice.

17 MS. ROGERS: I'm sorry. I have one more
18 thing before Roger closes out. I would urge that you
19 guys create I believe it's management directive 5.2
20 working group and include agreement state
21 representatives and/or CRCPD representatives on that
22 group to help you with this rule making.

23 MR. HODGKINS: Okay. Roger.

24 MR. PEDERSON: Roger Pederson, NRC. I'm
25 not sure I'm closing anything out here. In fact, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 might be opening up a whole new issue. As we
2 mentioned yesterday, parallel to the change in Part 20
3 we're looking at conforming changes to Part 50,
4 Appendix I. So we've already identified that that's
5 currently a problem. The difference between the
6 technical basis and the current Part 20 and the
7 current Appendix I has caused some problems already,
8 so we're looking towards aligning the two of those.

9 I guess my question to everyone else here
10 is, is there another part of our regulation, whatever
11 part that might apply to you that you could see could
12 be problematic if we did make a change to Part 20 and
13 it didn't line up to that other regulation. Is there
14 something we should be looking at in terms of possibly
15 doing conforming changes to other parts of the
16 regulation if, in fact, we change Part 20?

17 MR. HODGKINS: I think Roger asked a
18 question. Anybody got a response?

19 (No response.)

20 MR. HODGKINS: Hmmm, clump.

21 MR. PEDERSON: Well, then I would like
22 to --

23 MR. HODGKINS: We'll let you --

24 MR. PEDERSON: -- personally close out my
25 participation here --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (General laughter.)

2 MR. PEDERSON: -- and thank everybody for
3 participating. And it's been a real interesting
4 dialogue.

5 DR. COOL: Okay. Well, with that, I think
6 I will use that as a segue for the one last reminder
7 that as you leave and drive back or fly back or
8 whenever you get back to your jobs and picking up the
9 kids at the buses and all of the other stuff that goes
10 on, and a thought trips back in your brain somewhere,
11 please send it in to us. The comment period remains
12 open until the end of January. In the *Federal*
13 *Register* notice, and there's a copy in each of the
14 books and available for everyone, there are multiple
15 ways to send things to us, and we would encourage you
16 to do that.

17 I, unfortunately, have been around the
18 agency long enough that I remember the last time we
19 did a revision of the rule. I knew well the set of
20 folks that did the proposed rule from '81 to '85 and
21 getting out that proposed rule, and they had this
22 little mantra, it was based on the technology at the
23 time, it said, Keep those cards and letters coming.
24 Well, now that's sort of emails and other things, but
25 the sentiment is the same.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Simply because in a moment or two we're
2 going to finish this meeting doesn't mean that clunk,
3 stop, everything goes into a box and it starts
4 processing. We're still looking for your feedback and
5 opportunities, formally through the 31st, but even
6 then the process will continue.

7 The NRC staff will go to the Commission,
8 try and prepare an accurate reflection of all the
9 things that we have heard and recommendations on some
10 of the directions that come out of that. The
11 Commission goes through its own decision process as
12 part of that. Your guess is as good as mine exactly
13 what may come out of that. Sometimes it's exactly
14 what the staff suggests, and sometimes it's not.
15 Okay. Fair enough. It's part of that process.

16 In fact, there have been times when the
17 Commission has made those documents available almost
18 immediately upon receipt by the Commission and has
19 even held its own meetings with some stakeholders as
20 part of that process.

21 Whatever comes out of that, and only if it
22 is directioned to actually change some things in Part
23 20, that we then proceed to continue to work on
24 technical basis, the regulatory analysis, the cost
25 analysis of the directions that would be taken so that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we could start to move towards a proposed rule, which
2 also has its own comment process. So this is but one
3 step in a continuing process.

4 I am very grateful to each of you for
5 spending two days of your time with all of the costs
6 and things associated with that time, effort, to share
7 your ideas with us. It really is very important and
8 I'd like to thank you very, very much.

9 We have a feedback form. NRC always looks
10 for feedback on our meetings, what went well, what you
11 like, what you didn't like. We do take a look at
12 those. Try and help us continue to understand, so I'd
13 encourage you to fill those out. You can send them
14 back in to us or just leave them on the table.

15 I'd like to say thank you to Dan, who has
16 facilitated all of our meetings; kept me sort of in
17 line some of the time; kept me on my toes. I'm going
18 to use this last opportunity to specifically thank
19 Kenyata Morgan Butler, who actually did most of the
20 calling and working with all of you to get this set
21 up. She hasn't had much face time up here, but she's
22 every bit as important and more important, if not the
23 least of which is she may be around when this all gets
24 finished.

25 (General laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. COOL: And with that, again, keep your
2 cards and letters coming, and we thank you very much,
3 ladies and gentlemen.

4 (Whereupon, at 12:11 p.m., the meeting was
5 concluded.)

6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701