

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advance Notice of Proposed Rulemaking
Potential Changes to NRC's Radiation
Protection Regulations

Docket Number: N/A

Location: Rockville, Maryland

Date: October 02, 2014

Work Order No.: NRC-1123

Pages 1-42

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVANCE NOTICE OF PROPOSED RULEMAKING

POTENTIAL CHANGES TO NRC'S RADIATION PROTECTION

REGULATIONS

+ + + + +

THURSDAY

OCTOBER 2, 2014

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The public meeting convened at the Nuclear
Regulatory Commission, Two White Flint North, Room
T2B3, 11545 Rockville Pike, at 1:00 p.m., Butch Burton,
Facilitator, presiding.

PRESENT FROM THE NRC:

BUTCH BURTON, Facilitator

DONALD COOL

CINDY FLANNERY

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

T-A-B-L-E O-F C-O-N-T-E-N-T-S

Opening Remarks

Butch Burton.....3

Overview of Issue 1 - Update 10 CFR Part 20 to Align With
the International Commission on Radiological
Protection Publication 103 Methodology and Terminology

Donald Cool.....7

NRC and Stakeholder Discussion of Issue 1 and Associated
Questions.....22

Overview of Issue 2 - Occupational Dose Limit for the
Lens of the Eye

Cindy Flannery.....28

NRC and Stakeholder Discussion of Issue 2 and Associated
Questions.....36

Closing Remarks.....38

Adjourn.....41

P-R-O-C-E-E-D-I-N-G-S

1:08 p.m.

1
2 MR. BURTON: Good afternoon, everyone. I
3 want to apologize for the late start. I understand some
4 people had some issues getting on the line, but I think
5 we've got everybody now. So appreciate your patience.

6 My name is Butch Burton and I'm from the
7 NRC's Office of Nuclear Reactor Regulation, and I'll be
8 serving as your facilitator for today's meeting. My
9 role is to help ensure that today's session is
10 informative and productive.

11 I want to welcome everybody here at
12 headquarters as well as folks on the line. Today's
13 session is the second of several meetings to receive
14 input from stakeholders on the development of a draft
15 reg basis to support potential changes to the NRC's
16 current radiation protection regulations contained in
17 10 CFR Part 20 titled, "Standard for Protection Against
18 Radiation." The goal of this effort is to achieve
19 greater alignment between Part 20 and the 2007
20 recommendations of the International Commission on
21 Radiological Protection, or ICRP contained in ICRP
22 Publication 103.

23 Last week we held our kickoff meeting for
24 this effort where we provided a general overview,
25 background information, general discussion of the main

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues and a discussion of plans for upcoming meetings.

2 Today we're focused on how Part 20 needs to
3 be updated to align with the methodologies and
4 terminology in ICRP 103 and the occupational dose limits
5 for the lens of the eye. Specific questions on these
6 topics were included in the Advance Notice of Proposed
7 Rulemaking, or ANPR, published in the *Federal Register*
8 on July 25th of this year. You can access the ANPR
9 through our Agencywide Document Access Management
10 System, or ADAMS. The accession number is ML14183B015.

11 This is a Category 3 public meeting, which
12 means that members of the public can participate at
13 designated points throughout the meeting. Hopefully
14 everyone has signed in and received copies of the
15 handouts. These include the meeting agenda, the
16 presentation slides, the *Federal Register* notice that
17 contains the ANPR, the staff's issue papers on today's
18 topics and a feedback form. For those of you here, you
19 can sign in, if you haven't already and find all of the
20 material in the back of the room.

21 Before I introduce our speakers I'd like to
22 take a few minutes to go over a few meeting logistics.
23 First, this meeting is being transcribed, so we want to
24 make sure that our transcriber, Mr. James Salandro, can
25 get a clear copy of the meeting. Therefore, we ask that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you please turn off or mute any device that rings,
2 buzzes, beeps, alarms, talks back to you, anything like
3 that. And we'd also like to try and minimize any side
4 conversations.

5 Also, we want everyone to know that even
6 though your feedback today will be included in the
7 transcript, only written comments will be addressed in
8 the regulatory basis. So please be sure to submit your
9 comments in writing. We'll tell you how you can do that
10 during the meeting.

11 For those here, to get to the restrooms,
12 when you leave the room, go straight back, turn left to
13 go to the men's room and turn right to go to the ladies'
14 room.

15 If we're asked for reason to evacuate the
16 building, please follow the direction of the security
17 staff or the NRC staff here. We'll try to keep everyone
18 together as we muster outside and we'll make sure that
19 we can account for everyone.

20 At the end of the meeting please complete
21 the feedback forms and return them to us. The feedback
22 forms help provide us with feedback on how we can improve
23 our future meetings, so it really is important to us that
24 you provide that, if you can.

25 There will be opportunities to ask

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 questions for each topic as identified on the agenda.
2 For the folks in the room, when asking questions please
3 use the mic. It's located under the monitors towards
4 the back of the room. For folks on the phone, be aware
5 that you'll be muted as the operator mentioned until
6 we're ready to take your questions and comments.

7 We have an operator, Teria, which you on the
8 phone have already met, who will be helping us with this,
9 so when you want to speak, as she mentioned, just press
10 star one. This will let me know that you wish to speak.
11 I'll then ask Teria to un-mute you and you'll be able
12 to speak. For all speakers, whether on the phone or
13 here in the room, please identify yourself and your
14 organization, if applicable, and speak directly into
15 the mic or your receiver.

16 We're trying very hard to stay on time, so
17 we'll have to be flexible with how much time we'll have
18 for questions and comments, although I do think we
19 probably will have plenty of time to accommodate
20 everyone.

21 Are there any questions either here in the
22 room or on the mic for any of the logistics I just went
23 over?

24 (No audible response)

25 MR. BURTON: Okay. I'm seeing nothing

1 here.

2 Teria, is there anyone who has identified
3 that they'd like to ask any questions?

4 OPERATOR: Not at this time. There are no
5 participants in the queue.

6 MR. BURTON: Okay. Great. All right.
7 So let's go on and get started.

8 Let me introduce our first speaker, Dr.
9 Donald Cool. Don is a senior advisor in our Office of
10 Federal and State Materials and Environmental
11 Management Programs. Don will start us off with a
12 discussion of the alignment of the methodology and
13 terminology between Part 20 and ICRP 103.

14 Don?

15 DR. COOL: Thank you, Butch. Good
16 afternoon everyone here and on the phone.

17 As Butch mentioned the first topic that
18 we're going to address is the methodology and
19 terminology that is used within the regulations, the
20 methods for calculating dose the way that we refer to
21 those.

22 If I can have the next slide? So a little
23 bit of background. Methodology and terminology have
24 changed a number of times over the years. Currently 10
25 CFR Part 20 has a set of terms: the total effective dose

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 equivalent, the committed effective dose equivalent,
2 those sets of things referring to the sum of the internal
3 and external exposures, the internal exposures, the
4 committed effective dose equivalent being from the
5 intake of radioactive materials. Those were based on
6 the recommendations of the International Commission on
7 Radiological Protection from back in 1977 of location
8 26 and the supporting technical information that was in
9 the various volumes of ICRP Publication 30.

10 So the first change that happened in around
11 1990, just about the time that the NRC was finishing up
12 its revision of 10 CFR Part 20 back then, updated some
13 adjustments to the calculational approach, and with
14 those adjustments some changes in the terminology.
15 Most of the world has moved to those materials. I'm
16 going to discuss some of those bits in just a moment.

17 The recommendations in Publication 103
18 from 2007 that we're examining revised some of the
19 factors, but did not actually change the methodology
20 itself, nor did it revise the terminology. So while we
21 are looking at some terminology and methodology changes
22 in comparison to the existing portion of 10 CFR Part 20,
23 in fact we're looking at essentially terminologies that
24 go all the way back to 1990.

25 If we can go ahead and have the next slide?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So to start the discussions, just to remind everyone of
2 what is in the advanced notice and the additional
3 information which is in the issues paper which
4 elaborates on that a little bit more, the Commission
5 directed the staff to develop a regulatory basis which
6 would align with the most recent methodologies and
7 terminologies for dose assessment. So that means that
8 we have laid out a series of proposals for the purposes
9 of obtaining comment.

10 As I mentioned last week in the original
11 introduction meeting, this says the word "proposal."
12 Please don't construe this as a proposed rule. This
13 does not contain specific regulatory language as in 20
14 point blah, blah, blah, change from X to Y. Rather,
15 this contains the proposal for the conceptual
16 direction. We have not yet nailed down specific
17 language. We will be talking about specific proposed
18 changes to some of the factors like the tissue weighting
19 factors and radiation rating factors, but I would not
20 want you to confuse what's in this advanced notice with
21 a specific proposed rule. That is yet at some point in
22 the future after we have developed a draft regulatory
23 basis and after the Commission has approved that basis.

24 That set of proposals for purposes of
25 discussion would be to change the existing set of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 terminologies from total effective dose equivalent and
2 similar terms to total effective dose. I'll talk about
3 each of these a little bit more in a moment or two, so
4 I'll quickly just go through these.

5 It would incorporate new tissue and
6 radiation weighting factor values into the definition
7 sections. It proposes to use an age and gender averaged
8 approach to the calculation for a reference member of
9 the public, and I will be explaining that in just a
10 moment. And it would propose that we would update the
11 many numerical values which are in Appendix B of 10 CFR
12 Part 20 for annual limits of intake, derived air
13 concentration and effluent values.

14 So if we could have the next slide? So
15 let's start with some of the questions on terminology.
16 So as I said, the regulation today uses the phrase "total
17 effective dose equivalent." When I talk about
18 methodologies in a few minutes I'm going to talk about
19 changes in the use of some of the terms. As a result
20 of changing the terms that were used in the calculation
21 approach, the ICRP's recommendations in 1990 changed
22 the word or the term that was applied to the resulting
23 calculation.

24 The terminology that is now used by ICRP,
25 similarly recommended by the International Commission

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on Measurements and Units, is for effective dose rather
2 than effective dose equivalent. What we call "total
3 effective dose equivalent" would be similarly
4 reconstrued simply as "total effective dose." You
5 could also have the committed effective dose. The
6 individual organs would receive an equivalent dose
7 rather than a dose equivalent.

8 And I know an immediate reaction would be,
9 well, that's certainly a small change and perhaps
10 confusing, and I will grant to you that it is a change
11 and perhaps, depending on which language you might
12 translate it in, sometimes gets completely lost. But
13 in fact the change in the terminology helps to
14 recognize, or at least one advantage the staff sees in
15 changing it, is so that if you look and you see a
16 particular reference or a particular unit like the total
17 effective dose, you would know that that calculation was
18 done using a certain set of tissue weighting factors,
19 radiation weighting factors that allows you to help
20 understand what the calculation actually entailed.

21 The NRC staff is not at this point looking
22 at changing the way in which compliance would be
23 measured or the actual dose limits that would be used.
24 Compliance would still be the sum of the internal and
25 external exposures. So this would be a more or less

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 simple replacement. Where the regulation today would
2 say total effective dose equivalent, it would say total
3 effective dose. And similarly for the other
4 components.

5 If we can go to the next slide? Since
6 everyone is going so what actually is changing here?
7 Well, in the current regulations today there are a
8 series of quality factors which was a way of
9 representing the relative effectiveness of different
10 types of radiation and the extent to which they cause
11 damage within cellular materials of the body. Those
12 are currently found in Section 20.1004. Those were
13 replaced in 1990 and subsequently updated a little bit
14 in Publication 103 in 2007 with what we'll refer to as
15 radiation weighting factors. And I am not going to try
16 and get into the specific dosimetric and physics details
17 that go along with it, but there are some bits of
18 difference between the quality factor the way it used
19 to be constructed and the radiation weighting factors.

20 The slide has the current set of factors.
21 This is from ICRP's Publication 103. For photons and
22 electrons, X-rays, gamma the factor is one. That
23 really doesn't represent any change. Protons is a two.
24 The quality factor used to be 10. That's one of the
25 potentially more significant changes that you'll see in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the set. Alpha particles at 20 is essentially
2 unchanged from alpha particles. And there was a
3 continuous function for various energies of neutrons.

4 If you look at the second table in the
5 existing Section 20.1004, you'll see a whole series of
6 values. That's sort of a semi-discontinuous
7 representation of what you could also construe as a
8 continuously changing function. So the shape is
9 slightly changed. So depending on the particular
10 energy of the neutron that you might be dealing with;
11 if you have monoenergetic neutrons there could be some
12 small changes, but it's a similar sort of thing. So
13 the radiation weighting factors would replace the
14 quality factors in Section 20.1004.

15 If we can have the next slide? The other
16 piece of this puzzle is the tissue weighing factors.
17 There are tissue weighing factors today in the
18 definitions. Those have been revised a couple of time.
19 The set that's in Part 20 today represents our
20 understanding of the relative contributions of
21 different organs to the overall cancer risk in the human
22 body back in the 1970s. They were revised with the
23 recommendations in 1990 and have been revised again with
24 the recommendations in 2007.

25 You'll notice a couple of things: There

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are some more organs that are there. The list wasn't
2 as extensive as in the proposal from ICRP Publication
3 103. And you'll notice that some of the values have
4 changed a little bit. In part that represents the fact
5 that the sum of all the organs has to be equal to one.
6 The parts of the body can't be more than the whole body
7 taken collectively together, and these tissue weighing
8 factors represent the relative contribution to the
9 total cancer risk if you irradiated the whole body
10 completely uniformly. So everything was receiving the
11 exact same contribution.

12 One of the more significant changes, if you
13 examine this table in a little bit more detail, is that
14 you'll see that the tissue weighting factor of the
15 gonads was in fact rather substantially reduced. This
16 is in large measure due to experience and examination
17 since the '70s which has indicated that the potential
18 contribution of heredity effects and those sorts of
19 things is less than had been previously assumed. Some
20 of the other changed to a lesser degree. As I said, the
21 summation total continues to add up to 1.0 as in a
22 uniform whole body exposure is a 1.

23 So let's go on to the next slide and the next
24 topic. So when you do then the calculation for an
25 individual, if you're dealing with an adult and you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dealing in an occupational setting obviously you would
2 use the calculational materials that are available for
3 an adult. And there are actually very detailed
4 calculational models that allow you to model the human
5 body, males and females separately, and work on
6 combining them together to prepare a reference
7 individual. And that's what get used for occupational
8 exposures since occupational exposure is specifically
9 controlled to an adult.

10 Now back at the time that Part 20 was
11 revised, completed in 1990, the adult was the only
12 references that we had available. So when the values
13 in Appendix B, Table 2 for effluent concentrations for
14 air and water were developed, what the NRC and other
15 organizations did was to take the adult value and to
16 apply some modifying factors. One for the amount of
17 time, 2,000 hours on occupational year versus a full
18 year's worth of time, 8,000-plus hours, changes in
19 breathing rate, some additional factors to represent
20 the fact in a general sort of way that we knew that there
21 were more age groups and otherwise.

22 But there was no way to more specifically
23 incorporate changes that happened as an individual is
24 born and grows over a period of time. Even though we
25 know that that's what happens if you're born in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 vicinity of a facility and grow up until you go away to
2 college or something, you go through a whole series of
3 life stages and certainly not all of those are an adult.

4 We now have today a much larger set of
5 models. There are in fact models available for
6 infants, 1-year-olds, 5-year-olds, 10-year-olds, 15-
7 year-old males and females, as well as the adults. And
8 so what the staff is soliciting comment on is an approach
9 to try and more accurately reflect a person born and
10 growing up receiving a particular exposure to the
11 effluents which would combine the various age groups in
12 percentages consistent with what percentage of the
13 population is that particular age and that particular
14 gender. And you can derive that rather simply with the
15 census data that's available. The U.S. Bureau collects
16 that every 10 years.

17 This approach in fact has already been
18 calculated and is used by in fact the Department of
19 Energy; has been for a number of years, in looking at
20 the compliance around some of their facilities. This
21 slide contains the specific DOE Technical Standard, and
22 a copy of that is available as one of the links on the
23 Web site. The values which are in that standard are
24 based on the 1990 recommendations of the ICRP and on the
25 2000 census data.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 What the staff is looking at is using a
2 similar approach to calculating it using the newest set
3 of models and weighting factors and using the 2010
4 census data so it is the most up-to-date available sets
5 of information to help represent an individual over the
6 course of time. Now this approach the staff believes
7 has perhaps a couple of advantages. Most importantly
8 it contains an explicit way to actually incorporate the
9 fact that you're an infant for a little while, you're
10 a one-year-old, you're a five-year-old. And we know
11 that those different age groups have different
12 sensitivities to radiation, radioactive material,
13 committed effective dose over a period of time.

14 So if you had a dose coefficient and you had
15 the dose coefficient for an adult, it would not be the
16 same as the coefficient for a 15-year-old, a
17 10-year-old, a 5-year-old or 1-year-old. Now the
18 extent to which those differ very much depends on the
19 individual radionuclide. So doing this approach means
20 that each calculation then takes into account the
21 sensitivities to an individual, to a radionuclide with
22 the biokinetics and otherwise that are associated with
23 that particular radionuclide. So the differences
24 between an adult and an age gender average will depend
25 on the kind of radioactive materials. So what we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looking for is some comments and suggestions on that
2 particular approach.

3 If we can go ahead to the next slide? So
4 let's move on to the last piece of this puzzle, which
5 is the actual changes that would be in Appendix B. All
6 of those wonderful tables of numeric values of annual
7 limits of intake and derived air concentrations which
8 are occupational based on an adult for Table 1. Table
9 2, the effluent concentrations which would be based on
10 this age and gender averaged composite approach for
11 calculating the value, and the sewer concentration
12 values which also would be based on an age and gender
13 average.

14 If we can go to the next slide? So to wrap
15 this up and then open it up for questions, the advanced
16 notice has several questions. Certainly you don't have
17 to be limited to these questions in providing comments
18 back to us, but these at least get you started.

19 What are the implications of changing the
20 terminology? We are well aware that although changing
21 the word sounds very nice and obviously has certain
22 advantages associated with being able to track, well,
23 if it says this, then it was that kind of calculation
24 approach, simply changing words in procedures and
25 regulations and otherwise all have intendant costs and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 difficulties. You have to go in and change this to
2 this, this and this and you have to explain it to people
3 and understand it and figure out where it is. So we're
4 looking for specific information on the associated
5 costs.

6 We're looking for; question 2,
7 considerations that might help us with an
8 implementation time frame that would go along with this.
9 Obviously we can say, okay, effective date of the rule
10 everybody snap, change instantaneously. That would
11 have one set of costs. There might be other approaches
12 which would allow a more gradual transition over time
13 which would allow organizations, licensees and
14 otherwise to adopt it when they would normally be doing
15 changes to updates and procedures as part of their
16 review process which perhaps could reduce the burden of
17 the possible change. So we're looking for your views
18 as various stakeholders on what might be the appropriate
19 time frame, how to avoid too much confusion in this
20 process in looking at the optimal way to consider making
21 such changes.

22 The third question specifically looks at
23 the issue of calculating the effluent and sewer
24 concentrations with regards to the modeling, the age and
25 gender average weighted composite, other issues that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 people might want to raise associated with that.

2 And the fourth question leaves open the
3 possibility of whether or not the NRC should continue
4 with taking the dose limit for members of the public at
5 one milisievert and taking half of that and applying it
6 to the air effluence and half of that to the liquid
7 effluence for purposes of calculating a basic number for
8 the demonstration of compliance. That's the way it is
9 today. The staff in fact has not suggested changing it,
10 but we're open to views on that and any other issues that
11 people might want to raise around this particular area.

12 So if we can go to the last slide. So that
13 wraps up my brief discussion. Obviously there is more
14 material in the issues paper. As Butch had mentioned,
15 we are in the process of accepting comments. While this
16 is being transcribed we very much want you to provide
17 specific comments on the record. There are a whole
18 series of ways to do that which are in the advanced
19 notice, as well as here on this slide.

20 It's also particularly important to us that
21 you not only tell us what you think should change, or
22 worse yet just yes or no to our questions, but in
23 addition to that provide the rationale and basis and
24 thoughts that you would wish for us to consider and why
25 that's the right thing to do. This is an opportunity

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to help us elaborate and explain as completely as
2 possible why we might want to consider such changes,
3 what the implications are, the pros and cons, the costs
4 and otherwise that go with this. So we would very much
5 encourage individuals who are commenting to provide as
6 much information as you're able to that will help us in
7 developing the regulatory basis.

8 And, Butch, with that I'm done with my
9 summary and I would love to invite questions on this
10 particular topical area.

11 MR. BURTON: Okay. Great. Thanks, Don.

12 Yes, what we're going to do is now we're
13 going to open it up for questions. So what I'd like
14 folks on the phone to do -- I'm actually going to start
15 with folks here in the room, but what I'd like for you
16 all on the phone to do is if you do have a comment or
17 a question, if you would hit star one to let us know that
18 you would like to provide a comment or a question.

19 And while you're doing that, I'm going to
20 open it up to folks who are here with us in the room to
21 see if anyone would like to provide a comment or a
22 question. If you would please step up to the mic so
23 everyone can hear you. Anyone?

24 (No audible response)

25 MR. BURTON: It is very quiet here. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 All right. Okay. So we don't have any
2 comments or questions here in the room. Let me turn to
3 folks on the phone. I am not seeing anyone who at this
4 point wants to step up and provide a comment or a
5 question.

6 Operator, are you seeing anything?

7 OPERATOR: No, there are no questions in
8 the queue at this time.

9 MR. BURTON: Okay. All right. Oh, we
10 have one here. Okay. Please. And give us your name
11 and your affiliation.

12 MS. ANDERSON: Ellen Anderson from the
13 Nuclear Energy Institute. Good presentation, Don.

14 With regard to the Department of Energy
15 process for the age and gender assessment has the NRC
16 performed any analysis using the DOE model and the most
17 recent U.S. population census data to determine if there
18 will be any substantial difference in the dose to the
19 public?

20 DR. COOL: Thank you, Ellen. I think I
21 could answer that a couple of ways. We have looked at
22 the methodology and looked at the differences between
23 what you might calculate as simply being adult or using
24 an age and gender weighted average. It very much
25 depends on the radionuclide, as I mentioned.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Part of my sort of hesitation in giving you
2 an absolutely yes, which we will eventually do, is the
3 fact that we are still working with the international
4 community and our domestic partners at Oak Ridge to
5 develop all of the dose coefficients that would actually
6 allow us to do that with the final set of values.

7 We have some estimates now. In large
8 measure they are similar to but not identical to for some
9 isotopes. Iodine and some of the others the difference
10 is a little bit more than some of the very long-lived
11 radionuclides for which there is very little difference
12 between an age and gender weighted average and a
13 calculation that might simply use an adult.

14 MS. ANDERSON: Can I follow up that
15 question?

16 DR. COOL: Sure.

17 MS. ANDERSON: So the Commission hasn't
18 performed any real analysis, so you really don't have
19 the answer, correct?

20 DR. COOL: We don't have a complete answer
21 yet.

22 MS. ANDERSON: Okay.

23 DR. COOL: We have taken a preliminary
24 look. I wish I could say that we have done it, but I
25 don't actually have the numbers to yet actually do the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ones with the final sets of values because we're still
2 awaiting the dose coefficients for different age
3 groups.

4 MS. ANDERSON: Okay. Thanks. So I'm
5 looking at the questions in the ANPR and you're asking
6 us what we think about the issue, we the licensees think
7 about the issue. You're asking us for an opinion. You
8 don't have the answer, so at this point you're sort of
9 leaving us with a crystal ball trying to determine what
10 the response will be. And so I just want to bring to
11 your attention that you're asking for a opinion and
12 answers and we can't necessarily give you anything
13 specific because we don't have the answers either. You
14 hold the key to the data and that analysis can't be done
15 by licensees until you provide all the data.

16 DR. COOL: Yes and no, because in terms of
17 what the values would be based on the ICRP 103
18 recommendations and the 2010 census data, you're right,
19 none of us have those final values yet. But I would
20 suggest to you that you can get a reasonable
21 understanding by looking at the differences you would
22 see for your favorite radionuclide using the DOE
23 standard that's out there, which is the ICRP 60 values
24 and the 2000 census data. That gives you some
25 indication of how various radionuclides will vary. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it is not a complete crystal ball, but there are still
2 some uncertainties as we look at the changes.

3 Our understanding is that for many
4 radionuclides there would be very little change between
5 the doses that would be calculated with the ICRP 103
6 calculational factors and the doses that were
7 calculated from the ICRP Publication 60 factors. Those
8 are of course quite different from the values that are
9 currently in Part 20 which go all the way back to 1977.

10 MR. BURTON: Okay. Please. Yes, please.
11 No, that's all right. Come on. I don't see --

12 MS. ANDERSON: Okay. I have another
13 follow-up question. So if you calculate the dose based
14 on the current census data in the United States and
15 you're looking at dose to members of the public, and from
16 our nuclear facilities we would be looking at the
17 members of the public who reside in the area of these
18 nuclear facilities. How will you know that the
19 population in the U.S. Census applies to those
20 communities near the nuclear facilities and that
21 whether you were actually using the right information?

22 DR. COOL: That's a good question. That's
23 a good question. For purposes of constructing a
24 prospective regulation that applies universally, we
25 believe that it's reasonable to use the census data.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Obviously that can't be an exact representation of a
2 particular population. I think it might be quite
3 reasonable if a licensee wanted to propose more
4 detail-specific if they knew that there was some unusual
5 attributes of a distribution or other facility that they
6 might wish to use. Licensees can always apply for
7 specifics and additions as part of their license
8 conditions and amendments.

9 I will tell you that the Department of
10 Energy experience with the standard where my
11 understanding is that several of the national
12 laboratories have in fact done such analysis. They
13 have found almost no difference between the generic
14 calculation and what they would derive based on
15 considerations of the populations around their
16 facility. So that little bit of information gives us
17 some confidence that using the general census data is
18 a reasonable way to represent any particular situation.

19 MR. BURTON: Yes, any other questions here
20 in headquarters?

21 (No audible response)

22 MR. BURTON: I think those were very good
23 questions. Stimulated good discussion.

24 Okay. I'm going to turn again to folks on
25 the phone. According to what I'm seeing I'm not seeing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anyone who wants to provide a comment or a question.

2 Operator, do you see anything?

3 OPERATOR: There are no questions in
4 queue.

5 MR. BURTON: Okay. All right. Well, I
6 guess with that I'll thank Don and we'll turn to our next
7 speaker, Ms. Cindy Flannery.

8 Cindy is a senior health physicist in the
9 Office of Federal and State Materials and Environmental
10 Management Programs. Cindy will discuss dose limits to
11 the lens of the eye.

12 Cindy?

13 MS. FLANNERY: All right. Thanks, Butch.

14 And could we go to the next slide, please?

15 All right. Thank you.

16 All right. So let's start with NRC's
17 current limit for the lens of the eye, which is 15 rem,
18 150 millisieverts, which is established in 10 CFR
19 20.1201(a)(2)(i). And in April of 2011 ICRP issued a
20 statement indicating that a review of recent
21 epidemiological evidence suggests that some tissue
22 reaction effects occur at a lower dose threshold than
23 previously considered. So for the lens of the eye ICRP
24 now considers the threshold for radiation-induced
25 cataracts to be at a dose of about a half a gray or 50

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rad.

2 So occupational exposure and planned
3 exposure situations ICRP recommends reducing the dose
4 limit for the lens of the eye to be 2 rem or 20
5 millisieverts per year averaged over 5 consecutive
6 years, so essentially 10 rem in five years with no single
7 year to exceed 5 rem.

8 Now this ICRP's recommendation here is
9 really based on recent epidemiological studies of
10 radiation-induced cataracts which found that the
11 threshold for causation is really lower than previously
12 considered because ICRP had noticed that earlier
13 studies really had short follow-up periods, really had
14 failed to take into account the short latency periods
15 with low doses. They weren't designed to detect early
16 lens changes and had relatively few subjects with lower
17 exposures.

18 So these recommendations were really based
19 on some more recent studies of populations with lower
20 doses, lower exposures, populations that included
21 subjects from diagnostic and therapeutic patients,
22 astronauts, survivors of the atomic bombs, Chernobyl
23 accident victims and cleanup workers as well as
24 interventional radiologists and cardiologists.

25 Next slide, please. Okay. So following

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ICRP's recommendation to reduce the dose limit for the
2 lens of the eye, NRC staff went up to the Commission and
3 recommended discussions with stakeholders about
4 possibly reducing NRC's dose limit for the lens of the
5 eye. The approach here would be increasing alignment
6 with ICRP's recommendation but not necessarily a
7 complete adoption. Complete adoption ICRP's
8 recommendation would be two rem per year. That would
9 put us in a situation where we have a more restrictive
10 limit than our current whole body limit of five rem total
11 effective dose equivalent which has never been in
12 regulations to date. And our Commission has made a
13 decision to not reduce that current limit. The
14 Commission has agreed with the staff recommendation to,
15 yes, go out and move forward with having these
16 discussions with stakeholders about possible reduction
17 of the dose limit for the lens of the eye.

18 All right. Next slide, please. All
19 right. So the ANPR was published in July. The issue
20 paper has several questions which we're hoping will
21 elicit discussion and input from licensees, public and
22 other stakeholders. So I'll just spend the rest of the
23 time going through these questions.

24 So the first question is closer alignment
25 or adoption of the ICRP Publication 118 recommendations

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 regarding the dose limit to the lens of the eye
2 appropriate given the scientific information now
3 available. So since ICRP had come out with its
4 recommendations there is a lot of literature out there,
5 a lot of information, so the bottom line question is is
6 there a scientific basis to support the changes. These
7 views will help us guide the development of a regulatory
8 basis is the bottom line. Okay. Question
9 No. 2. How should the impact of radiation-induced
10 cataracts be viewed in comparison with other potential
11 radiation effects? The NRC believes that further
12 discussion is warranted in how the prevention of
13 cataracts which really can be corrected by a
14 well-established surgical procedure compares with
15 efforts to reduce the probability of cancer which poses
16 a far greater risk. So should fatal effects and
17 non-fatal effects really be considered in a similar
18 fashion? Are the potential changes in the eye a
19 significant detriment?

20 Question No. 3. What mechanisms could be
21 applied to keep the cumulative exposure to the lens of
22 the eye below the threshold of half a gray? This limit
23 is what ICRP said is the limit for radiation-induced
24 cataracts and there is no indication that a protracted
25 delivery of the dose is any less damaging than an acute

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 dose.

2 So what are some mechanisms? The obvious
3 of course would be shielding, many types of shielding
4 in a medical situation. You could have pull-down
5 shielding, lead glasses with side shielding,
6 fluoroscopy table shielding and portable shielding of
7 various configurations. But other types of mechanisms
8 such as training, for example, sensitive training on how
9 to select and utilize shielding that would help in
10 reducing one's dose to the lens of the eye.

11 But what other mechanisms are out there to
12 help reduce the dose to the lens of the eye? And
13 cumulative is really the operative word here, meaning
14 reducing one's dose over the course of a lifetime
15 because of this threshold of half a gray.

16 Next slide, please. Okay. What methods
17 should be allowed for measurement or assessment of the
18 dose to the lens of the eye? So any new requirements
19 that NRC would put in place would have implications for
20 measuring occupational exposures and the need to better
21 estimate the dose to the lens of the eye.

22 So in practice nobody is really monitoring
23 the lens of the eye specifically. So thinking in terms
24 of a non-uniform field and somebody who's wearing a lead
25 apron, for example, and being monitored with two badges,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one badge underneath the apron and one badge above the
2 apron, what is the best dosimetry method? Should we
3 simply just take the badge over the apron measurement
4 for the eye dose, or should the eye dose really be
5 extrapolated from the unprotected badge using some kind
6 of a correction factor? Perhaps the variations using
7 this particular method would really just be too
8 substantial. And there are certainly some other
9 factors that would come into play in terms of accuracy
10 of dose assessment. For example, dosimeter placement,
11 angular and energy distribution, things such as that,
12 effectiveness and means of protection used and so forth.

13 Question No. 5. What methods should be
14 allowed for recording dose when the eyes are protected?
15 What we're getting at here is some sort of correction
16 factor, eye protection factor, whatever you want to call
17 it. There is no standard in place for a correction to
18 adequately assess one's dose if somebody is using some
19 type of a shielding like there is. I guess the best
20 thing to compare it to is if somebody is using or wearing
21 an apron for the whole body to measure effective dose.
22 Some regulatory agencies will allow licensees to -- if
23 somebody is wearing a lead apron and using two badges,
24 they will allow them to use a correction factor and do
25 a calculation to measure an effective dose. Well,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there isn't a similar type of calculation for assessing
2 one's eye dose from measurement on a badge and somebody
3 wearing lead glasses. So the question is should that
4 be allowed? If so, what type of correction factor
5 should be used, and is that appropriate, or would there
6 be too many variables for this really to be practical?

7 Okay. So question No. 6. What are the
8 potential operational impacts? A few possibilities
9 here perhaps individuals who work at more than one
10 facility, training impacts, cost implications, to name
11 a few, but certainly this list is not exclusive.

12 And then the last question here, No. 7, what
13 are the potential impacts on state regulatory programs?
14 And certainly this does have an impact on state
15 programs. Again, using the medical sector as an
16 example, a group that has a potential for high lens of
17 the eye doses would be interventional radiologists and
18 cardiologists. They work with radiation-producing
19 machines which fall under state regulatory programs and
20 not NRC's jurisdiction. However, when NRC makes
21 changes to the regulations and reducing dose limits and
22 so forth, the states will also follow suit with their
23 X-ray program. So it certainly has an impact on the
24 state regulatory programs as well.

25 Next slide, please. Okay. So there are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 several ways in which you can submit your comments.
2 What I've listed here, the comment period is open until
3 November 24th. They can be submitted directly to the
4 Web site, email, faxed or by regular mail.

5 We have three more public meetings. There
6 are six different technical issues in the ANPR. Today
7 we discussed the first two of the six, but next week on
8 October 9th we'll be discussing issues 3 and 4, which
9 are dose limit for embryo-fetus, so a declared pregnant
10 occupational worker. That's issue No. 3. Issue No. 4
11 is individual protection ALARA planning. So that will
12 be next week on October 9th. October 16th we'll be
13 discussing issues Nos. 5 and 6. And that is reporting
14 of occupational exposure. And No. 6 is metrication -
15 units of radiation exposure and dose.

16 Now the public meeting that will be taking
17 place on October 23rd is really a wrap-up of all of the
18 technical issues in ANPR. And then of course we have
19 a link here to the Web site for Part 20 and it includes
20 all the information. It has the ANPR, associated
21 issues papers and all the supporting information to
22 potential changes to Part 20.

23 So that is all I have. Butch, I'll turn it
24 back over to you.

25 MR. BURTON: Okay. Great.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. FLANNERY: Thank you.

2 MR. BURTON: Thank you, Cindy.
3 Appreciate it.

4 Okay. Again, what we want to do is we want
5 to open it up for questions. Again, for folks on the
6 phone in anticipation of when we go to you all for
7 comments or questions, if you could start by pressing
8 star one so we know that you're interested in
9 participating. And while you're doing that, I will
10 open it up for comments or questions from folks here in
11 headquarters.

12 Anyone? Okay. And again, please provide
13 your name and your affiliation.

14 MR. PEDERSEN: Roger Pedersen, senior
15 health physicist in the Office of Nuclear Reactor
16 Regulation here at the NRC.

17 I was intrigued by question Q6 -- excuse me
18 Q5 that you were talking about, Cindy, the allowance for
19 when protection is afforded the eyes. Currently for
20 respiratory protection, if I could just diverge a little
21 bit here, we have an Appendix A to Part 20, protection
22 factors if a respirator is used for protection of
23 intakes. Is that similar to what you were talking about
24 where we would establish protection factors and have eye
25 protection certified to some sort of a protection

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 factor? Is that an analogous control method?

2 MS. FLANNERY: That would be another
3 example, yes.

4 MR. PEDERSEN: Okay.

5 MR. BURTON: Okay. All right. Thank
6 you. Anyone else here at headquarters here in the room
7 like to provide a comment or question?

8 (No audible response)

9 MR. BURTON: No? Okay. All right. So
10 let's go to the phones. I am looking here. I do not
11 see anyone who would like to provide a comment or a
12 question.

13 Operator, do you see anything?

14 OPERATOR: No, there are no participants
15 in the queue.

16 MR. BURTON: Okay. All right. Well, I
17 hope that's because everyone is thinking deep thoughts
18 about it and are prepared to provide their comments a
19 little bit later.

20 Okay. Give it one more round see if anyone
21 would like to provide a comment or a question.

22 (No audible response)

23 MR. BURTON: Okay. I think at this point
24 then, being a Category 3 meeting, I want to open it up
25 for members of the public at this point, if anyone has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a statement or a comment or a question. Again, I'll
2 start here in the room, if there are any members of the
3 public who would like to speak.

4 (No audible response)

5 MR. BURTON: None? Okay. Again, going
6 to phones, if there are any members of the public who
7 would like to speak, provide a comment. Give it a
8 second here.

9 (No audible response)

10 MR. BURTON: Okay. All right. Okay. I
11 think if there are no more comments or questions, I think
12 we're going to start our wrap-up. But before I do turn
13 things over to Don; he'll do the formal close-out, I'd
14 like to pass on some reminders and some information.

15 First, again wanted to remind folks and
16 encourage folks to fill out the feedback forms. For
17 those here, you can leave it with us today. And for
18 folks on the phone, you can get a copy and you can mail
19 it in to us. Again, we really appreciate that feedback.
20 We do take it seriously to see how we can improve our
21 public meetings.

22 Also, as has been noted, we are accepting
23 comments on the advanced notice of proposal rulemaking
24 through November 24th, 2014. We do need your feedback
25 to help us put together a strong regulatory basis to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 support any proposed revisions to Part 20. There are
2 several ways that you can provide your comments, as you
3 can see on the slide. That information is also provided
4 in the *Federal Register* notice. You can actually
5 access all of this information at the link that you see
6 at the bottom of the slide that you see there.

7 Wanted to note that the first meeting that
8 we held last week, the kickoff meeting, it was Webcast
9 and there is a copy and you can have access to it through
10 the public meeting Web site. The slides and
11 transcripts from the first meeting are also on the site.
12 And the slides and transcripts for this meeting will
13 also be placed on that site. So please be aware of that.
14 Also you can get a copy of the advanced notice of
15 proposed rulemaking on our ADAMS site. That stands for
16 Agencywide Document Access and Management System. If
17 you go that route, the accession number is ML14183B015.

18 As we mentioned before, we want everyone to
19 know that even though your feedback will be included in
20 this transcript, only written comments will be
21 addressed in the regulatory basis. So please be sure
22 to submit your comments in writing.

23 Finally, I wanted to take a moment to thank
24 James Salandro, our transcriber, and Teria, our
25 operator for her excellent support to today's meeting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Okay. And with that, I'll turn it over to
2 Don for our closeout. Don?

3 DR. COOL: Thank you, Butch.

4 Let me thank each of you for taking the time
5 to listen. I hope this has been helpful to you in
6 understanding some of the issues.

7 I'm going to hope that the fact that there
8 weren't a lot of questions means that we've been
9 relatively clear in the process of explaining the things
10 that we're looking for answers on. There are a lot of
11 questions and I'd like to emphasize again that we are
12 looking for the answers to the questions and not just
13 a yes/no sort of answer, but also with the supporting
14 information and rationale that the NRC staff should
15 consider in developing a position.

16 While it might seem strange, every bit of
17 information that we get will be very valuable to us in
18 terms of trying to develop a rationale for a position,
19 all of the data that you can provide. Information on
20 the various shielding aspects of different types of
21 leaded glasses, the ways in which shielding in other
22 configurations can be used, the impacts of the different
23 terminologies and methodologies.

24 For each of the questions throughout the
25 ANPR the staff is actively looking for your feedback

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with the details that you would like to see addressed
2 in a draft regulatory basis, which not only includes the
3 what we think should be done, but the whys that go along
4 with it. This is your opportunity to contribute to the
5 whys that would be part of process of developing any
6 regulatory basis.

7 As Cindy mentioned, I'll just reemphasize
8 we will have a meeting again starting at 1:00 on next
9 Thursday dealing with the issues on the embryo-fetus and
10 applications of ALARA on October 16th dealing with
11 reporting and the metrication issues and then a wrap-up
12 for any final opportunity for other questions or
13 clarifications.

14 With that, I very much appreciate all of
15 your time and effort and thank you very much. Have a
16 great day, folks.

17 (Whereupon, the above-entitled matter went
18 off the record at 2:07 p.m.)

19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15